

1 BEFORE THE ARIZONA POWER PLANT LS-251
2 AND TRANSMISSION LINE SITING COMMITTEE
3 IN THE MATTER OF THE APPLICATION) Docket No.
4 OF WEST CAMP WIND FARM, LLC, IN) L-21204A-22-0228-00206
5 CONFORMANCE WITH THE)
6 REQUIREMENTS OF ARIZONA REVISED) LS CASE NO. 206
7 STATUTES, SECTIONS 40-360, et.)
8 seq., FOR CERTIFICATES OF)
9 ENVIRONMENTAL COMPATIBILITY)
10 AUTHORIZING THE WEST CAMP WIND)
11 GEN-TIE PROJECT, A 345 KV or)
12 500 KV TRANSMISSION LINE AND)
13 ASSOCIATED INTERCONNECTION)
14 FACILITIES WITHIN NAVAJO COUNTY,) EVIDENTIARY HEARING
15 ARIZONA.)
16 _____)

11 At: Flagstaff, Arizona
12 Date: October 11, 2022
13 Filed: October 17, 2022

16 REPORTER'S TRANSCRIPT OF PROCEEDINGS

17 VOLUME I
18 (Pages 1 through 123)

19
20
21
22 GLENNIE REPORTING SERVICES, LLC
23 Court Reporting, Video & Videoconferencing
24 1555 East Orangewood Avenue, Phoenix, AZ 85006
25 602.266.6535 admin@glennie-reporting.com

By: Robin L. B. Osterode, CSR, RPR
Arizona CR No. 50695

1	VOLUME I	October 11, 2022	Pages 1 to 123
2	VOLUME II	October 12, 2022	Pages 124 to 189

3

4 INDEX TO PROCEEDINGS

5	ITEM	PAGE
6	Opening Statement of Mr. Acken	19
7	Presentation of Virtual Tour	65
8	Public Comment	117
9	Deliberations	157
10	Vote CEC-206-1	177
11	Vote CEC-206-2	184

12

13 INDEX TO EXAMINATIONS

14	WITNESSES	PAGE
15	TERRANCE UNREIN, ROBERT GARDNER, ALEXANDRA SHIN and ALLEN GRABER - Applicant	
16	Direct Examination by Mr. Acken	30
17	Direct Examination by Mr. Acken (Cont.)	129

18

19

20 INDEX TO EXHIBITS

21	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
22	WCW-1	Application for West Camp Wind Farm, LLC Gen-Tie Project	--	186
23				
24	WCW-2	Witness Summaries	--	186

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX TO EXHIBITS (Cont.)

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
WCW-3	Hearing Presentation	17	186
WCW-4	Gen-tie Line Corridor to Cholla Substation	--	186
WCW-5	Noise Analysis Revisions	89	186
WCW-6	Public Outreach	--	186
WCW-7	Arizona State Historic Preservation Office Letter	82	186
WCW-8	Project Support Letter	95	186
CHM-1	PDF version of CEC-206-1	135	FOR REFERENCE
CHM-2	Final form of CEC-206-1	135	FOR REFERENCE
CHM-3	PDF version of CEC-206-2	139	FOR REFERENCE
CHM-4	Final form of CEC-206-2	139	FOR REFERENCE

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before the
3 Arizona Power Plant and Transmission Line Siting
4 Committee at High Country Conference Center, 201 West
5 Butler Avenue, Flagstaff, Arizona, commencing at
6 1:00 p.m. on the 11th day of October, 2022.

7 BEFORE: PAUL A. KATZ, Chairman

8 DANIEL SCHWIEBERT, Arizona Corporation Commission
(via videoconference)
9 LEONARD DRAGO, Department of Environmental Quality
DAVID FRENCH, Arizona Department of Water Resources
10 JAMES PALMER, Agriculture Interests
RICK GRINNELL, Counties
11 (via videoconference)
KARL GENTLES, General Public
12 (via videoconference)
JACK HAENICHEN, General Public

13

APPEARANCES:

14

For the Applicant:

15

ACKEN LAW
16 Mr. Albert H. Acken
111 East Dunlap Avenue, Suite 1-172
17 Phoenix, Arizona 85020

18 For the Intervenor Arizona Public Service Company:

19

SNELL & WILMER, L.L.P.
Mr. J. Matthew Derstine
20 400 East Van Buren Street, Suite 1900
Phoenix, Arizona 85004

21

and

22

PINNACLE WEST CAPITAL CORPORATION
23 Ms. Linda J. Benally, Senior Attorney
400 North 5th Street, MS 8695
24 Phoenix, Arizona 85004
(via videoconference)

25

1 CHMN. KATZ: Good afternoon, everyone. I am
2 Paul Katz. Most of you know me already. I'm the chair
3 of the Line Siting Committee, and I will just first start
4 out by indicating we should be on the record, if we
5 didn't already go on. Robin is our court reporter, and
6 we'll try to do our best not to talk over one another.

7 This is the time set for a CEC hearing in
8 CEC-206, West Camp Wind Gen-Tie Project, and I will ask
9 counsel who is present for the applicant to identify
10 himself for the record, if we could.

11 MR. ACKEN: Good afternoon, Mr. Chairman,
12 Committee. Bert Acken of Acken Law on behalf of the
13 applicant, West Camp Wind Farm, LLC.

14 CHMN. KATZ: And since I have him here already,
15 we haven't yet determined whether or not we will allow
16 APS to intervene, I don't see any reason why we
17 shouldn't, but I would ask the attorney who is present
18 here on behalf of Arizona Public Service, if you would,
19 to kindly identify himself for the record.

20 MR. DERSTINE: Good afternoon, Chairman, members
21 of the Committee. Matt Derstine, Snell & Wilmer,
22 appearing on behalf of Arizona Public Service Company.
23 Appearing on behalf of APS also is Linda Benally.
24 Ms. Benally is appearing virtually, and I think we see
25 her on the screen here in the hearing room.

1 CHMN. KATZ: And, welcome. And I believe
2 virtual -- I'll take roll starting to my immediate left.
3 I'll have the gentleman to my left identify himself for
4 the record.

5 MEMBER DRAGO: Yeah, Len Drago, designee for
6 Arizona Department of Environmental Quality.

7 CHMN. KATZ: And I've already indicated I'm Paul
8 Katz; I'm the chair of the Committee.

9 And next, Mr. French.

10 MEMBER FRENCH: My name is David French; I'm the
11 designee for the Department of Water Resources.

12 MEMBER HAENICHEN: I'm Jack Haenichen,
13 representing the public.

14 MEMBER PALMER: Jim Palmer, representing
15 agriculture.

16 CHMN. KATZ: And I believe we have possibly two
17 members appearing virtually. I see Mr. Grinnell, but
18 I'll ask you to identify yourself, Mr. Grinnell, if you
19 can, and indicate on whose behalf you're appearing.

20 MEMBER GRINNELL: Good afternoon. Rick
21 Grinnell, representing the counties. And I see my
22 friends from Phoenix who are escaping the heat and up in
23 beautiful Flagstaff, so good on y'all.

24 CHMN. KATZ: And is Daniel Schwiebert present as
25 well virtually?

1 (No response.)

2 CHMN. KATZ: Off the record for just a minute.

3 (Discussion off the record.)

4 CHMN. KATZ: Well, we have enough without
5 Mr. Schwiebert being present. I believe he may be
6 attending the public meeting of the Arizona Corporation
7 Commission, which is scheduled for today. And we'll
8 leave it at that. But we have only one, two, three,
9 four, five, six of us here right now, which I believe is
10 a quorum. We can't afford to lose anybody.

11 With that all being said, we have those who are
12 present already identified for the record. If I didn't
13 indicate, we should have gone back on, I think Robin's a
14 step ahead of me, so I appreciate that.

15 And I don't know if there's any members of the
16 public here right now, but I just have to admonish or
17 warn you to please not discuss this case with any of the
18 members of the Committee. If you are wishing to make
19 public comment at 5:30 this evening, there will be a
20 session that you can -- if you're physically present you
21 can sign in on a form and indicate whether you wish to
22 speak or just provide us with written comments. And
23 there was also a link for virtual participation by
24 members of the public.

25 Let me just ask you, Mr. Acken, before we get

1 started with swearing in or affirming witnesses,
2 are -- what's your position with respect to intervention
3 by APS in this matter?

4 MR. ACKEN: The applicant does not oppose APS's
5 intervention, and I think it's safe to say we would
6 support it. The testimony in this case is that AES will
7 be seeking two CECs, as APS will own a portion of the
8 interconnection facility, so it makes sense for them to
9 be here representing their interests.

10 CHMN. KATZ: Thanks very much. Excuse me for
11 leaning over. I just had surgery a week ago yesterday
12 and I have to take my time in getting whatever I might
13 need.

14 And what is the -- let me ask you, Mr. Derstine,
15 do you intend to call any witnesses at this point in
16 time, or are you just going to be cross-examining those
17 who are called by the applicant?

18 MR. DERSTINE: Mr. Chairman, APS doesn't intend
19 to call any witnesses at this time. We do have a witness
20 available, in the event that issues may arise that would
21 require testimony from APS. And I also don't currently
22 have any intent or plans to cross-examine any witnesses.
23 So we're here to observe, and to the extent that there's
24 an issue that arises that we think it's appropriate for
25 APS to either examine one of applicant's witnesses or to

1 present a witness of our own, we'll -- we'll ask your
2 permission to do that at the appropriate time, but we
3 currently don't have any intention of doing so.

4 MEMBER GRINNELL: Mr. Chairman?

5 CHMN. KATZ: Yes, Mr. Grinnell.

6 MEMBER GRINNELL: Does counsel for APS -- my
7 brain is just not working today -- when are the
8 applications for CECs anticipated to be in front of this
9 Committee?

10 CHMN. KATZ: Who are you asking about?

11 MEMBER GRINNELL: APS. It was mentioned they
12 have two CECs.

13 CHMN. KATZ: No, no, two CECs will be issued to
14 West Camp Wind, but ultimately they may be assigned to
15 APS. We're not doing that in today's proceeding, correct
16 me, Counsel, if I'm wrong.

17 MR. ACKEN: No, that's correct. And I'm sorry
18 if that was unclear. The applicant is requesting two
19 CECs, with the intention of assigning one of those to APS
20 to cover the facilities that APS will own and operate
21 associated with the gen-tie project. And we have done
22 this -- this is a similar process -- I have done this
23 with APS in Hashknife, more recently Serrano we did this
24 model. And I did another case, it wasn't with APS, but
25 Atlas where the applicant sought two CECs, again, to

1 assign a portion of the project to a future assignee.

2 And so that's what we're doing here.

3 But West Camp Wind Farm, LLC, is the applicant;
4 it's requesting both CECs. Both CECs, if granted, will
5 be issued in the name of West Camp Wind, LLC, again, with
6 the intent to assign the CEC covering APS-owned
7 facilities to APS in the future.

8 CHMN. KATZ: You're muted. Mr. Grinnell, we
9 can't hear you; you're muted.

10 MEMBER GRINNELL: No, I lost connection here,
11 but -- and I apologize, but what I was asking is we are
12 requesting CEC-206-A and CEC-206-B as part of this
13 process?

14 MR. ACKEN: Yeah, that's correct. We've labeled
15 them for the Committee's consideration as CEC-1 and
16 CEC-2, both under case 206 and this docket number.

17 MEMBER GRINNELL: Okay. I didn't note that.
18 Well, thank you.

19 CHMN. KATZ: Thank you.

20 What I'd like to do at this time is entertain
21 from any members of the Committee a motion to allow
22 Arizona Public Service to intervene in these proceedings.

23 MEMBER HAENICHEN: I move that we allow them to
24 intervene.

25 MEMBER PALMER: I second it.

1 CHMN. KATZ: All right. Any discussion?

2 (No response.)

3 CHMN. KATZ: All in favor?

4 (A chorus of "ayes.")

5 CHMN. KATZ: Anyone opposed?

6 (No response.)

7 CHMN. KATZ: And, welcome, Mr. Schwiebert. You
8 didn't miss much of anything, other than the fact that
9 APS has made a request to intervene. They don't
10 currently anticipate presenting any testimony. They're
11 free, though, to examine -- cross-examine witnesses if
12 there might be a need.

13 The next issue, though, that we need to resolve
14 before we begin the hearing is I'll ask Mr. Acken his
15 recommendations on whether or not we take a tour. And
16 having spoken with him at the prehearing conference, it's
17 my understanding that the objections from the community
18 were to the wind farm, and not to the power lines. I
19 don't know if we have any objections to the power lines
20 that have been presented to us in writing by any members
21 of the public, corporate or individual; is that correct,
22 Mr. Acken?

23 MR. ACKEN: Mr. Chairman, it is correct, there
24 have been no public comments opposing the gen-tie
25 project. Mr. Gardner can speak to the one comment that

1 was received, but it wasn't in the nature of an
2 opposition; it was a question about potential sale of
3 their property for the gen-tie, but -- but the long and
4 short of it is there has been no public opposition that
5 we have received regarding the gen-tie.

6 I reached out to the counsel who represented the
7 individuals at the Navajo County special use permitting
8 process that you'll hear about, to see if they were going
9 to participate and I did not hear back. So at this time
10 my expectation is that they are not, and I don't see any
11 of them in the room.

12 CHMN. KATZ: Do you think that there's any
13 benefit that we might receive by taking a tour? And if
14 we did that there would be only one, two, three, four,
15 five of us going on the tour, and I don't know how well
16 I'll be able to hobble along post-surgery, but I can make
17 it, if necessary.

18 MR. ACKEN: So we looked long and hard at how to
19 make a tour work for this project. Those of you that
20 were on the Committee for Chevelon, which is another AES
21 project that is under construction about 15 miles closer
22 to Flagstaff than this project we were able to do a tour.
23 There is a couple, maybe one real key distinction. For
24 Chevelon you had a state highway that bisected the wind
25 farm site, and also some of the CEC components, so there

1 was easy access to facilities for which the applicant was
2 seeking a CEC.

3 Up on the screen, on the right-hand screen, you
4 see slide 27. This is an overview map, it shows Joseph
5 City at the top -- thank you; Mr. Gardner's going to be
6 my pointer -- and so Joseph City is on Interstate 40.
7 Again, that's about an hour and a half from here, so we
8 would have to go to Joseph City. There are some surface
9 streets, public streets that go -- that would cross the
10 one gen-tie corridor, where there are existing
11 transmission lines as well, where he's highlighting right
12 there. So one of our tour spots could be in that
13 location.

14 We can't get close to the Cholla Substation.
15 You know, access to Cholla is not feasible, given
16 security constraints for APS. And then there are some
17 land constrictions, you know, as far as land access
18 restrictions on the south side, so we can't even get
19 close to Cholla.

20 There's one other tour spot that we considered
21 along the potential gen-tie route that you see right
22 there that is close to Cholla, but many miles from the
23 wind farm project site, where the number of the project
24 facilities will be constructed, the wind farm project
25 boundary is outlined in black. Our infrastructure siting

1 area is in yellow. That's where all of the CEC
2 components that are within the wind farm project would be
3 located, and there's just no access. There's no public
4 access to those facilities.

5 State Route 377 to the east, you can't see it
6 due to topography -- and keep in mind each one of those
7 boxes is a section that's a square mile, so we're talking
8 about great distances. The opposition to the wind farm
9 itself that arose at the Navajo County Special Use Permit
10 proceeding -- which I should, I want to note and we will
11 present testimony, Navajo County's Board of Supervisors
12 approved this project unanimously by a 4 to 0 vote -- but
13 the opposition came from landowners from the west and to
14 the southwest of the wind farm project. And, again,
15 their concerns related to the turbines. There is no
16 public access to that area where we could take an
17 executive van for the Committee. Those roads are not --
18 some of them aren't public access, and the ones that are
19 are not built or maintained for a vehicle that we would
20 need to take out there.

21 CHMN. KATZ: Would you point out a route,
22 though, that -- that one gen-tie line will be taking and
23 whether or not there's an existing gen-tie line that will
24 parallel it?

25 MR. ACKEN: Yes. So we're requesting two

1 interconnections, a 345 interconnection that will be
2 entirely within that yellow siting -- infrastructure
3 siting area, and interconnect in that black hash box in
4 the northwest corner directly adjacent to existing 345-kV
5 lines. There's two or -- there's two 345- and one 500-kV
6 line that run southwest from Cholla, and it bisects the
7 northwest corner of the project site. So the 345
8 interconnection option entirely within that yellow box
9 interconnecting with a new switchyard at the 345-kV --
10 existing 345-kV lines.

11 The 500 interconnection option is a little
12 different. It would include a gen-tie running from the
13 wind farm project site -- thank you for highlighting the
14 screen, the laser pointer -- following the existing
15 transmission lines from the wind farm project site to the
16 existing Cholla Substation. Those would be -- that 500
17 interconnection would be co-located and parallel to two
18 existing high-voltage transmission lines and in close
19 proximity to a third.

20 CHMN. KATZ: Okay. And those dashed lines that
21 run from the top down to the left-hand corner and from
22 the top down to the right-hand corner, those are already
23 existing lines, correct?

24 MR. ACKEN: Correct. On the legend you can see,
25 depending on the size, those are existing 500- and 345-kV

1 transmission lines that start at the Cholla Substation,
2 you know, once served, and some still serve in some
3 capacity, providing -- transmitting power from Cholla to
4 the Valley and places south.

5 CHMN. KATZ: And most of the to-be-constructed
6 lines are on private property; is that correct?

7 MR. ACKEN: They are entirely on private
8 property. So the gen-tie facilities, the switchyard that
9 we're requesting for the 345-kV interconnection, and up
10 to three project collector substations, also in the
11 infrastructure siting area, all are located on private
12 lands. There are no state or federal lands implicated by
13 this project. The applicant has secured agreements for
14 the private lands for all infrastructure components, with
15 the one landowner who -- one private landowner in this
16 area up until it reaches the APS-owned facilities at
17 Cholla.

18 CHMN. KATZ: And are -- have you prepared a
19 virtual tour, in the event we don't do it in person?

20 MR. ACKEN: We have. In my view, it's an
21 excellent virtual tour, it's certainly consistent or
22 better than the ones this Committee is used to seeing,
23 and we actually have two. We have one for the 345-kV
24 option and one for the 500-kV option, and we have a
25 couple of simulations of the project facilities as well.

1 CHMN. KATZ: Okay. Before I have us dig any
2 deeper, we can either take a tour or not. We're talking
3 about a three-hour round trip just to get there and back.
4 And the tour itself isn't going to give us much of a view
5 of anything. And there are already existing power lines,
6 except within that square, toward the lower area, that's
7 outlined in black on this particular exhibit, which looks
8 like it's Exhibit 20 -- is it 27?

9 MR. ACKEN: Slide 27, to West Camp Wind Hearing
10 Exhibit 3.

11 CHMN. KATZ: I can entertain a motion. I don't
12 know how mobile I am or how worthwhile the tour would be,
13 but I'm not going to preempt anybody. So we can either
14 have a motion to not take a tour or a motion to take a
15 tour and vote on it.

16 MEMBER PALMER: Mr. Chairman, if I may?

17 CHMN. KATZ: Yes, sir.

18 MEMBER PALMER: I am normally a strong proponent
19 of seeing the areas that we impact and like doing that.
20 That being said, because of that I read with interest the
21 record of the prehearing conference and the explanation
22 that was given there and the explanation that Mr. Acken
23 gave us here this afternoon, and I am convinced there's
24 probably a limited value in this particular tour and am
25 willing to forgo that for a virtual tour and would make

1 that in the form of a motion.

2 CHMN. KATZ: Thank you. We do have a motion.

3 Is there a second? And, again, this is that we would not
4 take an in-person tour.

5 MEMBER HAENICHEN: I'll second and I support it.

6 CHMN. KATZ: Any discussion?

7 MEMBER GRINNELL: Mr. Chairman, quick question.

8 I was looking at an Arizona map. Joseph City, is that
9 between Holbrook and Winslow?

10 MR. ACKEN: It is.

11 MEMBER HAENICHEN: Closer to Holbrook.

12 MR. ACKEN: Closer to Holbrook.

13 MEMBER GRINNELL: Okay. I just wanted to
14 clarify where I was looking at.

15 CHMN. KATZ: Any further discussion?

16 (No response.)

17 CHMN. KATZ: All in favor of waiving the tour,
18 please say, "aye."

19 (A chorus of "ayes.")

20 CHMN. KATZ: Anyone opposed?

21 (No response.)

22 CHMN. KATZ: We're not going to take a tour.

23 And the last question I have of you, before we get going,
24 is whether or not notice has been given to any local
25 governmental entities that might be required to be

1 notified pursuant to the statute?

2 MR. ACKEN: Yes, Mr. Chairman, the only affected
3 jurisdiction to which notice is required is Navajo
4 County. Again, all project facilities are located on
5 private lands, in unincorporated Navajo County. Notice
6 has been provided to Navajo County of this proceeding,
7 and as I mentioned earlier, Navajo County has already
8 approved the Special Use Permit for the -- for the wind
9 project itself.

10 CHMN. KATZ: Just give me a second.

11 And there aren't any federal funds involved or
12 any federal lands involved, correct, so we don't have any
13 NEPA concerns?

14 MR. ACKEN: That's correct.

15 CHMN. KATZ: Okay. What you can do is I don't
16 know if you want to introduce your panelists first or
17 make an opening statement before calling them, either way
18 is fine with me.

19 MR. ACKEN: Thank you, Mr. Chairman. I was just
20 going to make a few brief statements, and I actually
21 covered a lot of them in the discussion about the tour,
22 so I'll try not to be redundant.

23 West Camp Wind Farm and AES really appreciate
24 the opportunity to be back before the Committee to
25 present the West Camp Wind gen-tie Project. As you see

1 on slide 27, this shows -- this map is important, and we
2 have a lot of maps, and I want to explain what you're
3 seeing.

4 The project -- there's a few interesting things
5 that we're doing here. We're requesting approval for two
6 interconnections, both a 345- and a 500-kV
7 interconnection. We are requesting two CECs, as I
8 mentioned earlier. And then within the infrastructure
9 siting area shown in yellow are requesting the
10 authorization to use any of those sections in yellow on
11 private land for the gen-tie facilities to interconnect
12 the project's collector substations -- and, Mr. Gardner,
13 if you could highlight that -- there are three project
14 collector substation sections that we are requesting
15 approval for. The applicant will actually construct
16 either one or two collector substations, depending on
17 phasing. And depending on phasing, whether it's done in
18 one or two, it will affect which of those three locations
19 that the applicant would use.

20 So we're requesting flexibility for the
21 substations. And we're requesting flexibility within
22 that infrastructure siting area to -- for the 345
23 option -- to the 345-kV switchyard siting area. And
24 what's being highlighted there in the northwest corner of
25 the infrastructure siting area is the 345-kV section for

1 which we're requesting approval in the black hash line.
2 That section is where the new 345-kV switchyard would be
3 constructed, ultimately owned by APS, to interconnect the
4 wind farm gen-tie to the regional grid on those APS -- on
5 that APS 345-kV line.

6 For the 500-kV option, again, you will have
7 500-kV infrastructure transmission lines within the
8 boundary of the infrastructure siting area, and will
9 ultimately head north, where it will leave the wind
10 project and infrastructure siting area in the middle
11 of the northern boundary of the wind farm, where you see
12 the -- see the highlight in the laser, right there, from
13 that point the 500-kV corridor heads north, crosses the
14 three existing lines, and then from that point it
15 parallels existing transmission lines to the Cholla
16 Substation.

17 CHMN. KATZ: Okay.

18 MR. ACKEN: I mentioned earlier all project
19 facilities are on private lands, and the applicant has
20 land agreements in place, and we will provide testimony
21 about that.

22 MEMBER GRINNELL: Mr. Chairman?

23 CHMN. KATZ: Yes, Member Grinnell.

24 MEMBER GRINNELL: Mr. Acken, so you're asking
25 for approval to build one, two, three new substations,

1 the development of a switching station, and then two
2 gen-ties; is that correct?

3 MR. ACKEN: Almost. The only -- the only
4 distinction is we only are requesting approval to build
5 two collector substations. There will be no more than
6 two, but we're asking the authority to put them in one of
7 those three sections that are shown in the infrastructure
8 siting area.

9 So, for example, if the wind project is built in
10 one phase, the collector substation will be that middle
11 one that Mr. Gardner is highlighting right there. If the
12 wind project is built in two phases, we would use the
13 other two substation sections to build the two collector
14 substations for the separate phases. So there will never
15 be three collector substations -- well, that's not the
16 request, the request is up to two, but place with it in
17 one of those three sections.

18 MEMBER GRINNELL: All right. But to that end,
19 which one? And what -- out of all this, what are you
20 actually going to be assigning or requesting to assign to
21 APS? Which one of these interconnections or gen-ties are
22 we actually speaking to?

23 MR. ACKEN: Sure. So first let's talk about the
24 345, so we are going to assign interconnection facilities
25 to APS where the -- where the West Camp interconnection

1 facilities and transmission lines meet existing APS
2 infrastructure. So for the 345, APS will actually own
3 and operate the 345-kV switchyard that we're requesting
4 approval for. So we would assign the authority to build
5 the 345-kV switchyard to APS. You'll hear reference to
6 what's called the point of change of ownership, or POCO,
7 that will be the first transmission structure outside the
8 switchyard. And Mr. Gardner will present -- this is in
9 the virtual tour -- I think if you're a visual thinker
10 like me, it really helps to see that visually where that
11 change will take place.

12 So the for the 345, APS will have the
13 authority -- well, CEC-2 will have the authority to
14 construct the switchyard; that authority will be assigned
15 to APS.

16 MEMBER GRINNELL: And then the line coming from
17 the Cholla Substation down to the exterior here, the
18 four -- the black line where the wind farms are, who is
19 going to -- is that in place already or is that something
20 that you're going to build, in addition to the 345?

21 MR. ACKEN: It will be built. And I'm going to
22 ask, if Mr. Gardner knows, he can flip ahead to the slide
23 showing the Cholla interconnection.

24 MEMBER GRINNELL: I've got maps here, but I'm
25 just not sure which one I'm looking at.

1 MR. ACKEN: I'll go ahead here. I'm going to go
2 to slide 37 -- no, that's not the one I want. 45.

3 Okay. So 45 shows -- so slide 45 shows -- then
4 this will be the map that would be attached to CEC-2, one
5 of the maps that would be attached to CEC-2, so none of
6 the -- none of the facilities have been constructed yet.
7 We're seeking approval for that. West Camp will hold and
8 construct the facilities within CEC-1, which includes
9 that 500-kV transmission line that is parallel to the
10 existing APS transmission lines.

11 It is only at, once we get to what we'll call
12 the APS control area, and Mr. Gardner is highlighting
13 that, it's a rectangle -- it's a dashed rectangle within
14 that control area will be -- is the facilities that are
15 covered by CEC-2. And so, again, the thought is once
16 this project is ready to go to construction, CEC-2 will
17 be assigned to APS, who will actually construct and own
18 and operate the facilities within that area, because it's
19 already within the area that they control at the Cholla
20 Substation.

21 And, again, Mr. Gardner in the virtual tour, has
22 great maps to kind of highlight the colors and draw it
23 out perhaps better than what the Figure 45 shows.

24 MEMBER GRINNELL: Thank you.

25 MEMBER PALMER: Mr. Chairman?

1 CHMN. KATZ: Yes.

2 MEMBER PALMER: And I probably should hold these
3 questions for the witnesses, but I just want to be sure
4 going forward that I'm clear. So when you talk about the
5 345 option and the 500 option, it's not one or the other;
6 the intent is to build both options, and that's CECs 1
7 and 2?

8 MR. ACKEN: No, I welcome the questions, because
9 this is -- what we're asking for is a little different,
10 and I want to make sure it's clear. And that's why I'm
11 doing it in the opening and why Mr. Gardner will really
12 take some time to walk through. We are requesting the
13 optionality to build either the 345 or 500.

14 MEMBER PALMER: Okay.

15 MR. ACKEN: We will not build both. But we
16 want -- we are requesting the Committee grant us the
17 authority to build either, depending on information
18 that's developed down the road about which
19 interconnection makes the most sense for potential
20 customers, costs, things of that nature. Information
21 that we don't have today. And, again, our witnesses will
22 address that. But so that's why we're asking for both
23 the approval for the 345 and the 500.

24 The two CECs is a different ask, and it gets
25 confusing, because CEC-1 is for all of the facilities

1 that West Camp AES will ultimately own. And CEC-2 is for
2 the interconnection facilities that APS will own. So
3 CEC-1 includes 345- and 500-kV options. CEC-2 also
4 includes 345- and 500-kV interconnection options. One
5 thing you will see when we get to this point in our form
6 of order for the draft CEC is we -- we borrowed a
7 condition or we used a condition from a recent case where
8 another applicant had requested optionality for
9 alternatives, and this relates to the 345 and 500. So a
10 condition that says at the point you make -- the
11 applicant makes an election of which one they're going to
12 use, they'll file something in the docket and then the
13 other one goes away. So there will only ultimately be
14 one interconnection, either 345 or 500.

15 MEMBER PALMER: Thank you.

16 CHMN. KATZ: Let me just ask, though, if APS is
17 going to get assigned one of those lines, are they going
18 to be the sole owner and operator of that line or is it
19 going to be jointly owned between West Camp and APS or is
20 that up in the air?

21 MR. ACKEN: Well, the project will be jointly
22 owned. And when you think of the project, I think of the
23 transmission line. But each entity will own separate
24 facilities. So APS will own the interconnection
25 facilities associated with either the 345 or 500. There

1 won't be joint ownership of those specific facilities.

2 CHMN. KATZ: And that will come out of one
3 substation, as opposed to the other line option would
4 come out of another?

5 MR. ACKEN: Yeah, but under either. So under
6 the 500-kV option, APS will have -- ultimately hold the
7 CEC for the interconnection facilities within that
8 control area at Cholla for the 500 facilities. They will
9 also have a CEC for the -- ultimately obtain, be
10 assigned, CEC-2 from -- from West Camp Wind, that will
11 include the 345-kV switchyard, as APS will own and
12 operate that.

13 MEMBER HAENICHEN: Mr. Chairman?

14 CHMN. KATZ: Yes, Mr. Haenichen.

15 MEMBER HAENICHEN: I'm not comfortable with this
16 conversation that we've just had. The Committee, or at
17 least me as part of the Committee, wants to know why
18 there are two options in voltage. What are the reasons
19 for it? And because maybe we won't agree that that's a
20 good argument.

21 MR. ACKEN: And we will certainly present
22 testimony as to why we're requesting that, Member
23 Haenichen. What I want to do in the opening is tee up
24 for you the ask, so that it's clear what we're asking.
25 But yes, we understand your perspective, and we are

1 prepared to address that in our testimony, and we will.

2 Our witnesses will address that.

3 MEMBER HAENICHEN: Thank you.

4 CHMN. KATZ: And the first question before
5 Mr. Haenichen was by Member Palmer. I was just saying
6 your question, I didn't identify you. And I want to make
7 sure I do that, because Robin isn't overwhelmingly
8 familiar with us or more familiar than she might like to
9 be.

10 MEMBER PALMER: I'm the good-looking one on the
11 end, Robin.

12 CHMN. KATZ: That all being said, do you want to
13 introduce your witnesses or I can affirm or swear them
14 in? Are they going to be called as a panel or are you
15 going to be doing one witness at a time or you're not
16 sure?

17 MR. ACKEN: I better be sure. We will be
18 calling the four witnesses that you see in front of you
19 as one panel.

20 CHMN. KATZ: And, again, they are Allen Graber,
21 Alexandra Shin, Robert Gardner, and Terrance -- is it
22 "Unrein."

23 MR. UNREIN: Unrein.

24 CHMN. KATZ: Unrein.

25 And I'll take a vote now. This is the only time

1 you ladies and gentlemen get to vote. Do you prefer an
2 oath or an affirmation? And if there's a division, we
3 can do both, some for one of you and some for the others,
4 but would you prefer an oath or an affirmation?

5 MR. GARDNER: Affirmation is fine.

6 CHMN. KATZ: Affirmation?

7 MR. GARDNER: Yes, sir.

8 CHMN. KATZ: I'm not going to require you to
9 stand, but if you all four of you raise your right hands,
10 I have a question to ask you.

11 (Terrance Unrein, Robert Gardner, Alexandra
12 Shin, and Allen Graber, were duly affirmed en masse, by
13 the Chairman.)

14 CHMN. KATZ: There's a unanimous -- everybody
15 has been affirmed, and you can proceed with your
16 questioning.

17 MR. ACKEN: Thank you, Mr. Chairman.

18

19 TERRANCE UNREIN, ROBERT GARDNER,

20 ALEXANDRA SHIN, ALLEN GRABER,

21 called as witnesses as a panel on behalf of Applicant,
22 having been previously affirmed or sworn by the Chairman
23 to speak the truth and nothing but the truth, were
24 examined and testified as follows:

25 //

1 DIRECT EXAMINATION

2 BY MR. ACKEN:

3 Q. Mr. Unrein -- let's give the AV team a second
4 here. I need to go back and get these slides synched.
5 Thank you.

6 Mr. Unrein, state your name and business address
7 for the record.

8 A. (MR. UNREIN) My name is Terrance Unrein, and my
9 business address is 282 Century Place, Suite 2000,
10 Louisville, Colorado 80027.

11 Q. By whom are you employed and in what capacity?

12 A. (MR. UNREIN) I'm the director of the Western
13 Wind Energy Development for AES Clean Energy Services,
14 LLC.

15 Q. And please summarize your educational background
16 and work experience.

17 A. (MR. UNREIN) I graduated from Colorado State
18 University with a degree in construction management. I
19 have been in renewable energy for about 10 years, since
20 2012. I have been both a consultant and developer within
21 the renewable energy industry, and I have worked for
22 AES-affiliated companies for approximately three years.

23 Q. And have you testified before this Committee
24 previously?

25 A. (MR. UNREIN) Yes, I've testified before this

1 committee in fall of 2019, I believe it was October --
2 October 17, 2019, going off of memory, for the
3 Chevelon-Butte Wind Gen-Tie Project that was located in
4 Coconino and Navajo counties, Arizona.

5 Q. And what is your role in the West Camp project?

6 A. (MR. UNREIN) I am responsible for overall
7 development and commercialization of this project.

8 Q. And what topics will you cover in your testimony
9 today?

10 A. (MR. UNREIN) I'll be providing an overview of
11 the applicant and who we are. I will be providing some
12 technical details, and hopefully some clarity as to our
13 unique request with two different interconnection
14 voltages. And I'll be summarizing our presentation and
15 be available, with my colleagues at the panel here, to
16 answer any questions, comments, and concerns from the
17 Committee.

18 Q. Thank you.

19 Next, Mr. Gardner, please state your name and
20 business address.

21 A. (MR. GARDNER) My name is Robert Gardner, 282
22 Century Place, Suite 2000, Louisville, Colorado.

23 Q. And by whom are you employed and in what
24 capacity?

25 A. (MR. GARDNER) I'm employed by AES Clean Energy

1 Services, LLC, and I am the project manager for the wind
2 development team.

3 Q. Summarize your educational background and work
4 experience.

5 A. (MR. GARDNER) I hold a degree in mathematical
6 economics from Colorado College. I've been working in
7 renewable energy for approximately three years, all with
8 AES-affiliated companies.

9 Q. And what is your role with this project?

10 A. (MR. GARDNER) I'm the project manager for the
11 West Camp Wind Farm and gen-tie project, and I run
12 day-to-day activities for the projects.

13 Q. And what will you cover in your testimony today?

14 A. (MR. GARDNER) I'll be going through much of our
15 application, talking about an overview of the project,
16 the permitting overview for the project, some of the
17 needs and benefits that this project brings, and
18 technical aspects of our application. Additionally, I'll
19 be here for any questions that the Committee has.

20 Q. BY MR. ACKEN: Ms. Shin, please state your name
21 and address for the record?

22 A. (MS. SHIN) Alexandra Shin, 16745 South Plaza
23 Way, Flagstaff, Arizona.

24 Q. By whom are you employed and in what capacity?

25 A. (MS. SHIN) SWCA Environmental Consultants, and

1 I'm a lead project manager.

2 Q. Please provide the Committee with some
3 information regarding your educational and professional
4 background.

5 A. (MS. SHIN) I have a master's in applied science
6 in environmental policy and management from the
7 University of Denver. And a bachelor's of science in
8 political science from Northern Arizona University. I've
9 worked as an environmental planner and project manager
10 for over 10 years for both state government and private
11 consulting.

12 I've been employed by SWCA for over six of those
13 years. SWCA is a nationwide environmental consulting
14 firm, and we prepared the CEC application and exhibits
15 under the applicant's supervision and review.

16 Q. And what topics are you covering?

17 A. (MS. SHIN) I will provide testimony on the CEC
18 application and exhibits and environmental compatibility
19 for the topics of land use, cultural resources, visual
20 resources, and sound and interference. Mr. Graber will
21 provide testimony regarding biological resources.

22 Q. Thank you.

23 So, Mr. Graber, state your name and address for
24 the record.

25 A. (MR. GRABER) My name is Allen Graber, 1645

GLENNIE REPORTING SERVICES, LLC
www.glennie-reporting.com

602.266.6535
Phoenix, AZ

1 South Plaza Way, Flagstaff, Arizona.

2 Q. And describe your professional and educational
3 background.

4 A. (MR. GRABER) So I hold a degree from
5 St. Lawrence University in biology. I have 25 years of
6 experience as a wildlife ecologist, working for different
7 private and public entities, 15 of those years have been
8 working with SWCA as a project manager and wildlife
9 ecologist. I primarily focus on renewable energy
10 projects.

11 For this -- for this project, I'm the lead
12 ecologist, and, as Alex mentioned, will be providing
13 testimony on biological resources.

14 Q. Thanks.

15 So we're going to start off with a description
16 of the applicant, West Camp Wind Farm and its parent AES.

17 Mr. Unrein, can you describe the applicant for
18 the Committee?

19 A. (MR. UNREIN) Yes. So West Camp Wind Farm, LLC,
20 is an indirectly owned subsidiary of the AES Corporation.
21 The AES Corporation is a United States-based publicly
22 traded energy company. Within the AES Corporation, the
23 publicly traded company, there's AES Clean Energy. And
24 that's who is here before you today. We are the United
25 States-based renewable energy business unit of the AES

1 Corporation. We develop, own, and operate solar, wind,
2 and energy storage projects across the country.

3 And, again, something nominally unique to our
4 project compared to other applicants is that we are an
5 owner and operator of our assets. We're not a developer
6 that builds projects and sells them off. And on this map
7 in particular, that shows all of the green states and
8 stars on green states, those are, again, wind farms that
9 we own and operate.

10 So we operate wind farms from coast to coast,
11 California to New York, in various states in between, and
12 then the two blue states being Mississippi and Arizona,
13 those are two wind farms being built as we speak. And
14 again, we -- I think our counsel, Mr. Acken, has
15 mentioned that we're currently building the
16 Chevelon-Butte Wind Farm in Coconino and Navajo counties,
17 Arizona.

18 CHMN. KATZ: And, again, just for the record, so
19 there's no confusion, you said AES and not APS, correct?

20 MR. UNREIN: Yes.

21 CHMN. KATZ: I just want to make sure our
22 reporter caught that, and I won't ask that again.

23 Go ahead, Mr. Acken.

24 MR. ACKEN: It will make for a fun record.

25 Q. BY MR. ACKEN: Following up on your response

1 regarding Chevelon-Butte, I'd like you to talk about
2 AES's presence in Arizona as a whole, not just Chevelon,
3 but are there other projects that you have and your --
4 your community partnerships?

5 A. (MR. UNREIN) Yes. We're pleased to be back
6 before this Committee today because Arizona, in
7 particular, is a very critical and very key market to
8 AES. The map on the right side of the screen shows the
9 state of Arizona, and some of our operating projects. So
10 we own and operate hundreds of megawatts of solar down in
11 Pinal County. We own and operate energy storage
12 facilities in the Phoenix metropolitan area. And, as
13 previously mentioned, we're building the Chevelon-Butte
14 Wind Farm that was before this Committee in 2019.

15 And, in addition to those projects being built
16 and currently operating, we have gigawatts of future
17 solar, wind, and energy storage projects planned on
18 private, public, and tribal lands in the state of
19 Arizona, some of which are shown on the screen.

20 And, I believe, yeah, this next set of slides
21 here, just -- just continuing on how Arizona's a --
22 again, a very core market for AES, we take community
23 partnerships very seriously, and we engaging -- we engage
24 in these partnerships early in the development process.
25 So that when we -- when we move to build and operate a

1 wind farm and be present locally for decades, we're not a
2 new face, unknown entity.

3 But some of our -- some of our partnerships --
4 partnerships, specifically up north, again, there's many
5 partnerships other parts of the state, but up north the
6 Northland Pioneer College in Navajo County, the Willow
7 Bend Environmental Education Center here in Flagstaff,
8 different tribal initiatives and initiatives with
9 memberships with chambers of commerce.

10 And, again, this is just illustrative of
11 Northern Arizona. And because we're a long-term
12 owner-operator, and we're not new to Arizona, we're proud
13 of these partnerships that we've established.

14 Q. Mr. Gardner, describe the non-jurisdictional
15 wind farm associated with the gen-tie project before the
16 Committee.

17 A. (MR. GARDNER) So the overall wind farm here is
18 a maximum 500 megawatt generation capacity wind farm,
19 entirely Navajo County. It's approximately 10 miles
20 south of Joseph City, on about 52,500 acres total of
21 property; 45,000 of which is owned by Aztec Land and
22 Cattle Company, a private entity. The project -- the
23 wind farm project will consist of up to 104 wind
24 turbines, 34.5-kV underground collection lines, battery
25 storage facilities, and access roads.

1 As Mr. Acken mentioned, this project did receive
2 unanimous approval for a Special Use Permit from the
3 Navajo County Board of Supervisors last month. As far as
4 schedule goes, we're looking at and working actively
5 towards a 2025 commercial operations date. That would
6 facilitate construction in late 2023 and 2024. I do want
7 to mention while, you know, 52,000 acres is a very large
8 piece of property, the nature of wind energy is that the
9 actual permanent disturbance is much smaller than that,
10 less than 3 percent.

11 So, you know, it's a large area, but a very
12 small area will be permanently disturbed by the wind
13 farm, and the existing land uses on this property will
14 remain. So ranching, recreation, et cetera, will still
15 be there after the wind farm is built.

16 Q. BY MR. ACKEN: Next, let's discuss the project
17 that's before the Committee, just start off by describing
18 the area in which the gen-tie project will be sited?

19 A. (MR. GARDNER) Yeah, so Mr. Acken did, you know,
20 preface this a little bit, but I'll go into it in a
21 little more detail. So the wind farm, full area, is in
22 black here. The infrastructure siting area and the
23 gen-tie line, the corridor substation, are what we're
24 here today to discuss and seek approval for.

25 So the infrastructure siting area here is shown

1 in yellow, with the three substation sections and
2 switchyard section. And then the gen-tie line corridor,
3 the Cholla Substation is shown here in gray. Both of
4 these, as mentioned, are entirely located in -- within
5 private property.

6 Q. Next, describe the facilities for which you're
7 requesting CECs.

8 A. (MR. GARDNER) So for the CECs, we're requesting
9 authority to build one new switching station, up to two
10 collector substations located in two of these three
11 sections, up to approximately 11 miles of 345-kV gen-tie
12 line, and up to approximately 25 miles of 500-kV gen-tie
13 line, knowing that only one of these would ultimately be
14 built.

15 Q. And we'll go into more details about the why in
16 a little bit, but just to confirm, you are requesting
17 approval for both the 345- and 500-kV options, correct?

18 A. (MR. GARDNER) Yes, that is correct. And we
19 will go into more detail on that later on in testimony.

20 Q. And is that due to your two active queue filing
21 positions with APS?

22 A. (MR. GARDNER) Yes, sir. We currently have a
23 345-kV queue filing and a 500-kV queue filing, which are
24 active in APS's interconnection queue system.

25 Q. Before we talk about the queue position filings,

1 I want you to step back and describe the two
2 interconnection options. So start with the 345-kV
3 interconnection option and describe the facilities
4 associated with it.

5 A. (MR. GARDNER) Yup. So our first queue filing
6 is Q-311, which is the 345-kV, 500 megawatt wind, and 250
7 megawatt battery storage. As you'll see on the map on
8 the right, this entire option is located within -- oh,
9 sorry, wrong button -- located within the infrastructure
10 siting area shown here in yellow entirely on private
11 property.

12 So for this option, we would build up to two
13 collector substations in these three substation sections.
14 From there, the 345-kV gen-tie line would move through
15 the infrastructure siting area up to the switchyard
16 section here, where a switchyard would be built. And the
17 point of interconnection for this queue filing is the
18 345-kV existing Cholla-Mazarzal transmission line owned
19 by APS. So the 345-kV option interconnects here on-site
20 via a line tap and switchyard.

21 And that's shown here a little bit more closely.
22 So our gen-tie line would come in, a switching station
23 would be built, and it would tie into the APS 345-kV line
24 here.

25 Q. And the figure that is being shown on the right

1 now is labeled as 31 from the hearing slides, marked as
2 WCW-3; is that correct?

3 A. (MR. GARDNER) That is correct.

4 Q. Okay.

5 MEMBER GRINNELL: Mr. Chairman?

6 CHMN. KATZ: Yes, Member Grinnell.

7 MEMBER GRINNELL: I don't want to convolute this
8 any more than it already is to me. But where would the
9 500-kV line come into play?

10 MR. GARDNER: Thank you for the question. And
11 I'll go over the 500-kV line in a second, so this is just
12 the 345-kV line that we're discussing right now. And
13 then we can go into the 500-kV line and where that would
14 be in the slides to come right after this.

15 MEMBER GRINNELL: All right. Thank you.

16 MR. GARDNER: Yes, sir.

17 MEMBER HAENICHEN: Mr. Chairman?

18 CHMN. KATZ: Yes.

19 MEMBER HAENICHEN: In your negotiations on these
20 options, are you planning to buy the land or just lease
21 it?

22 MR. GARDNER: This land is all leased with the
23 private property owner. And it is currently -- we have
24 site control via leases and easements currently.

25 MEMBER PALMER: Mr. Chairman?

1 CHMN. KATZ: Yes, Mr. Palmer.

2 MEMBER PALMER: Correct me if I'm wrong, and
3 maybe Mr. Acken has the institutional knowledge, but
4 Aztec Land and Cattle is the same landowner that AES
5 dealt with on the Chevelon-Butte; is that correct?

6 MR. ACKEN: It is not correct.

7 MEMBER PALMER: It's not?

8 MR. ACKEN: And I misspoke in the prefiling
9 conference, and that may have been where you saw that. I
10 think it was Ohaco family for Chevelon.

11 MR. UNREIN: Yeah, it's Chevelon-Butte Limited
12 Liability Partnership is the primary private property
13 owner for the Chevelon-Butte Wind Farm.

14 MR. ACKEN: I do think that this Committee has
15 seen other projects with land that is owned by Aztec,
16 such as Hashknife project.

17 MEMBER PALMER: That's the one I'm thinking of.
18 Okay, thank you.

19 Q. BY MR. ACKEN: Mr. Gardner, I'd like you to
20 address one of Member Grinnell's questions about the
21 three substations. So why are you requesting approval
22 for three substations when you're only ultimately going
23 to build two?

24 A. (MR. GARDNER) So that's to accommodate for the
25 potential of multiple phases being built out for the

1 project. So for a large wind farm like this, it's very
2 common for the full project to be built in two phases.
3 So half the project would be built in one point and half
4 the project would be built in another. If that were the
5 case and we were to build the turbines in the southern
6 part of the project here, we would build the first
7 collector substation down here in Section 9. And then
8 for the second phase, the project would be built -- the
9 turbines would be built in the northern section, and the
10 second collector substation would be built in this
11 substation section.

12 So that would be the dual substation
13 possibility. If only one -- if the whole project is
14 built in one phase, only the central collector substation
15 would be built.

16 Q. And, next, I'm going to have you describe the
17 500-kV interconnection option to address Member
18 Grinnell's question about that as well.

19 A. (MR. GARDNER) Yeah, so first, I'll start by
20 saying that for both options, the substation layout is
21 the same. So for the 500-kV option and 345-kV option, we
22 have the same substation sections, and the same kind of
23 phasing that I described would apply.

24 So here we have, you know, our infrastructure
25 siting area and our three substation sections. For the

1 500-kV option, the same collector substations would be
2 built and the 500-kV gen-tie line would extend north in
3 our infrastructure siting area, all on private property,
4 up to the gen-tie line corridor to Cholla Substation.

5 From there the 500-kV gen-tie line would go
6 north, it would cross the existing three transmission
7 lines, where it would head northeast paralleling the
8 existing lines to the Cholla Substation.

9 MEMBER GRINNELL: Mr. Chairman?

10 CHMN. KATZ: Yes, Member Grinnell.

11 MEMBER GRINNELL: On the 345-kV line, are you
12 piggybacking on the existing kV lines from the project
13 area to the Cholla Substation or are you
14 create -- establishing a whole new set of infrastructure
15 power poles? It looks like with the 500-kV line, it's
16 going to be an independent line of the 345-kV, if it goes
17 that way. If you go with the 345-kV line, are you going
18 to piggyback on the existing kV lines that run from the
19 Cholla Substation or is all of this going to be new
20 infrastructure regardless if it's 345 or 500?

21 MR. UNREIN: I'd be happy to provide some
22 clarity there. So the 345-kV option, you can see that
23 that existing 345-kV line that's coming down diagonally
24 throughout our site, we would build a switchyard there
25 and cut that line -- cut that line, double circuit into a

1 switchyard, so we would be putting our electrons in the
2 switchyard which can flow in either direction AC -- it
3 could flow up toward the Cholla Substation, which
4 transmits electricity in many directions from that
5 substation, or those electrons could travel to the
6 southwest. So 345-kV, our wind farm is breaking and
7 tapping into that line that runs through our site.

8 The 500 kV option, we would be building a
9 new -- new gen-tie line that parallels existing lines
10 going into the Cholla Substation. So our electricity on
11 the 500-kV option, our electrons would be going right
12 into that substation via new project transmission line
13 being built.

14 MEMBER GRINNELL: So, in essence, these would be
15 two parallel lines, one 345 and one 3500 -- or one line
16 for 500. So you basically would have two lines capable
17 of transmitting power one way or the other?

18 MR. UNREIN: I would note that we are seeking
19 approval to build either/or option. We are not seeking
20 approval to build both options concurrently physically in
21 the field. We're requesting optionality, such that we
22 can make an informed decision in the -- in the future of
23 which one to build, and we will only build either/or.

24 CHMN. KATZ: My question is, are there going to
25 be just two lines built, not four, because that was a

1 little confusing earlier?

2 MR. UNREIN: That's -- that's correct, yeah.

3 CHMN. KATZ: And one of them to be, in whole or
4 in part, assigned to APS?

5 MR. GARDNER: So in either option, there's
6 actually only going to be one transmission line built.
7 So for the 500-kV option, one -- whoops, sorry, wrong
8 button again -- one transmission line would be built, if
9 it's two substations, connecting the two substations, and
10 then going north to our gen-tie corridor, that line would
11 then go north and parallel the existing transmission
12 lines all the way to the APS-owned land outside the
13 Cholla Substation.

14 For the 345-kV option, again, just one
15 transmission line would be built, and we'll show this in
16 our flyover, the virtual tour, but so it could go -- you
17 know, if we built this collector substation and this one,
18 the line would go down to this collector substation and
19 then up to the switchyard, where it would interconnect to
20 the line. So in either option, it's really just one --

21 CHMN. KATZ: One transmission line.

22 MR. GARDNER: -- transmission line being built,
23 yes, sir.

24 MEMBER GRINNELL: Don't you already have the one
25 345-kV line coming out of the Cholla Substation down to

1 that area?

2 MR. GARDNER: Yes, sir, we do. And there are
3 two 345-kV lines here. And that, for this 345
4 interconnection option, is why we would build our gen-tie
5 line and interconnect it to those existing transmission
6 lines.

7 MEMBER GRINNELL: But if you went with the 500
8 and then you'd be connecting and then building, there
9 would already be a 345 line and you would be building a
10 new 500-kV line, correct?

11 MR. GARDNER: That is correct, yes, sir.

12 MEMBER HAENICHEN: Chairman?

13 CHMN. KATZ: Yes, go ahead. And I'll be
14 occasionally standing, as my doctor recommended, so don't
15 think I'm walking out on you.

16 MEMBER HAENICHEN: Let me see if I got this
17 straight. This hearing is going to be over in a few
18 days, and we're going to have voted on whether or not to
19 give you that option to build the two. But we're never
20 going to know during this hearing which one you're going
21 to select. So I'd want some more color on that about
22 what factors you're considering to make these choices.

23 MR. GARDNER: Yes, sir. I'd be happy to go into
24 that now. So, like we discussed, we have two active
25 queue filings currently with APS, Q-311, which is the

1 345-kV option, and Q-351, which is the 500-kV option.
2 Both of these queue filings are in the study process
3 currently, which we'll go into in more detail later on,
4 but each of those two interconnection options will have
5 network upgrades associated with them that we don't know
6 at the current moment. So down the road we will know
7 more about how much each of these options will cost, and
8 if -- if -- which option is more feasible for us as a
9 company building it.

10 Additionally, the 345-kV and the 500-kV options
11 provide deliverability to different customers. And so
12 the 345-kV and the 500-kV transmission system provides --
13 you know, the electrons can flow to different areas to
14 different customers, and so right now we do not know who
15 that customer will be or where that customer will be.
16 And so we can't make a decision on the 345- or 500-kV
17 option without knowing our customer, which comes down the
18 road in the project.

19 MEMBER HAENICHEN: So is APS going to be a party
20 to this -- this procedure and have a vote, so to speak?

21 MR. UNREIN: Let me -- is the question will APS
22 make the decision of whether we proceed with 345-kV or
23 500-kV?

24 MEMBER HAENICHEN: Yes.

25 MR. UNREIN: Okay, so --

1 MEMBER HAENICHEN: Or is it a collaborative
2 thing between the two?

3 MR. UNREIN: We -- and I'm wondering, Bert, if
4 we should just get into the interconnection study process
5 now? That kind of explains this. But, yeah, it's bound
6 by a FERC-regulated multi-year study process to ascertain
7 which -- which position is more favorable for us.

8 MR. ACKEN: I do think -- I do think it would be
9 helpful to take a step back and explain the APS
10 interconnection study process. Because we have -- the
11 testimony is we have two queue position filings, one for
12 345, one for 500.

13 Q. BY MR. ACKEN: Why do we have two? What's the
14 status? How would ultimate decisions be made? Let's
15 answer those questions, but start off with what is the
16 APS interconnection study process?

17 MEMBER GRINNELL: Mr. Acken, if I may, before
18 you get to that question, I'd like to step back to the
19 other gentleman's comments about knowing who his
20 customers are going to be, and where they're going to be.
21 I would imagine you're developing a project of this
22 magnitude, you would have a pretty good sense of who your
23 customers are and what kind of power is going to be
24 required to service those customers; would I be correct
25 in that assessment?

1 MR. UNREIN: So let me -- let me clarify that.
2 When Mr. Gardner said "customers" maybe a better term
3 would be "end users" of this electricity. So we're a
4 wholesale power -- we're a wholesale power provider, in
5 that we're going to provide energy to one customer and
6 the actual needs of -- the actual needs of where the
7 electrons are needed could be different in the future.
8 So the 345-kV interconnection, that flows to different
9 areas on Arizona's transmission grid than the 500-kV
10 option. And in today's dynamic energy market, there's
11 different needs at these different interconnection
12 voltages within Northern Arizona's grid.

13 So different interconnection voltages go to
14 different places, and we don't know right now
15 which -- which areas on the transmission grid and which
16 interconnection voltage is needed and what's going to be
17 most advantageous.

18 MEMBER GRINNELL: But you're not building this
19 without your research being developed about who you're
20 going to wholesale your power to, your electrons to, and
21 who their potential customers are down the road. I mean,
22 apparently this company is well-established, so they've
23 done their homework. So I guess what I'm getting to is
24 if you have a 500-power kV line, and then you don't need
25 all that power, you could use step-down transformers; am

1 I correct? In lieu of trying to run -- because the more
2 we talk about 345 and 500, dual ownership, splitting
3 this, you know, the pie gets a little bit who is eating
4 what piece. And I'm just -- I'm not trying to be a
5 hard -- I'm just really trying to keep this as logical as
6 I can, because to me there's almost, it's a duplication
7 of request without -- if you don't know the outcome of
8 where you plan on going, I would be wondering if there's
9 enough research been done to establish this need in the
10 first place.

11 MR. UNREIN: So if I could, one simple way that
12 to maybe think of the ownership, I know that that's not
13 the -- not the primary uncertainty that we need to dive
14 in on here, but with respect to the -- to the ultimate
15 ownership and the way the CECs are being split, maybe an
16 easy way to think about it is CEC-1 is AES. So that
17 first CEC we're going to choose one voltage or the other,
18 and that is AES. CEC-2, that's APS. Again, either/or,
19 but that's APS. So maybe with the ownership that -- that
20 -- that's been in my mind lately CEC-1, AES; CEC-2, APS.

21 Again, with respect to choosing which
22 interconnection voltage, because Northern Arizona is a
23 critical market for AES, and because we've been
24 developing renewable energy projects in this state for
25 many years, we, years ago, filed -- strategically filed

1 different interconnections at the Cholla Substation,
2 because those different voltages go to different places
3 and have the ability to serve different customer needs.

4 So this is -- this is unusual that one wind farm
5 has two different interconnection positions. That is,
6 again, because this is not a new market for us and this
7 isn't our first wind farm in the state, so we made those
8 decisions years ago to be in a position to meet the
9 deliverability needs of customers in Northern Arizona.

10 And maybe, Bert, should we talk -- talk about
11 the study process?

12 MEMBER GRINNELL: Mr. Unrein -- did I say that
13 right?

14 MR. UNREIN: Yup.

15 MEMBER GRINNELL: How much of this power is
16 going to be sold to out-of-state wholesalers or
17 retailers, if you will? Or how much -- you're going to
18 sell it to APS, or maybe UniSource, or one of these other
19 utilities, how much is going to be going outside of
20 Arizona?

21 MR. UNREIN: So the commercial aspects of our
22 project are due to the -- due to the stage of
23 development. We do not have signed commercial and signed
24 off-take agreements for this wind farm. And if we did,
25 that is confidential information that we wouldn't be able

1 to disclose in a public forum. But we -- we cannot
2 provide that information, nor do we have the information.

3 What we can say is that our point of
4 interconnection -- both point of interconnections that
5 the -- the CEC is seeking approval for, is -- has Arizona
6 Public Service as the transmission owner, so both points
7 of interconnection go to Arizona Public Service --

8 Q. BY MR. ACKEN: Can you speak --

9 MR. UNREIN: -- who is an Arizona utility
10 company.

11 Q. BY MR. ACKEN: Can you speak to who is your
12 customer for Chevelon-Butte?

13 A. (MR. UNREIN) Our customer for the
14 Chevelon-Butte Wind Farm is a utility company within
15 Arizona.

16 MEMBER HAENICHEN: Mr. Chairman?

17 CHMN. KATZ: Yes, Mr. Haenichen.

18 MEMBER HAENICHEN: Maybe this is an
19 oversimplification, but if you only had the option to use
20 the 500-volt, 500,000-volt line, couldn't that serve as a
21 300,000-volt line as well?

22 MR. UNREIN: Unfortunately, no. Our
23 substations -- so when we go through this multi-year
24 interconnection study process with APS, we build our
25 substations for one voltage and we have to choose one

1 voltage because, again, the lines go to different places
2 within APS's substations. And you can't -- it's just
3 technologically not practicable for us to -- we can't
4 step down the voltage and send 345 to APS's 500-kV line.
5 That's just not possible, from an electrical engineering
6 perspective, and it's not feasible to build two different
7 project substations that you can toggle between two
8 different voltages to two different points of
9 interconnection. I haven't seen that done in my career
10 and I don't -- I don't think that would be possible.

11 MEMBER HAENICHEN: So it's not really
12 impossible, because the lines themselves, but there's
13 ancillary equipment that has to merge with those lines,
14 right?

15 MR. UNREIN: I really think one of the limiting
16 factors with trying to have a dual voltage
17 interconnection would, again, be that interconnection
18 study process. I mean, we go through a multi-year study
19 process per FERC tariffs and rules to ensure the safety
20 and reliability of -- of the grid system. And you can't
21 go through that study process with multiple voltages in
22 the same request.

23 MEMBER HAENICHEN: Why not?

24 MR. UNREIN: I would need to defer to APS
25 potentially as to, you know, compliance details of --

1 MR. ACKEN: I believe I can speak to that from a
2 legal standpoint, that the interconnection process
3 follows federal FERC requirements. And so those
4 procedures about what interconnection voltage, how you
5 interconnect, and what you can request and where is all
6 set forth by federal rules.

7 MEMBER HAENICHEN: Okay.

8 Q. BY MR. ACKEN: So I do think it would be
9 helpful, because there is a lot of questions about the
10 interconnection process and the studies, to spend a
11 little bit of time explaining what that interconnection
12 study process is that you're engaged in with APS?

13 A. (MR. UNREIN) So in summary, the interconnection
14 study process for large generator interconnection
15 requests is a multi-year technical and engineering
16 evaluation, multi-year, multi-phase technical study with
17 the transmission owner, which in this case is APS. So
18 long-term study that, again, identifies what, if any,
19 network upgrades and other physical improvements are
20 needed to maintain the safe and reliable operation of the
21 transmission system. Again, under federal FERC
22 jurisdiction, these -- these -- these multi-year studies
23 follow federal FERC jurisdictions and tariffs and rules.

24 Q. And where are you at in the study process for
25 the 345- and the 500-kV interconnection requests?

1 A. (MR. UNREIN) Sure. One quick thing I left out
2 is entering into this study process, and then I'll tell
3 you where we are at, is that APS's study process is a
4 cluster queue system whereby you can submit requests two
5 times per year, and those are studied in aggregate
6 on -- on a cluster basis, instead of on a serial
7 individual basis. So this is common for utilities, they
8 don't study these requests individually, you aggregate
9 biannually these requests and you study them in blocks.
10 So the 345-kV queue position we entered -- we entered
11 into the fall 2019 APS interconnection queue, and we
12 received our System Impact Study this past summer in
13 May 2022.

14 The 500-kV queue position was filed in the fall
15 of 2020 interconnection cluster and the System Impact
16 Study for the 500-kV position is expected in the near
17 future. So, again, when we go back to AES making, you
18 know, these strategic early-stage decisions, these --
19 these requests were made years ago.

20 MEMBER HAENICHEN: Okay. But after you complete
21 all this and come to some conclusion and select one of
22 those two options, is it possible that APS can weigh in
23 and say no?

24 MR. UNREIN: Yeah, so -- so we described what
25 the process is, where we're at. And, Bert, I think was

1 the next question were we going to talk about --

2 Q. BY MR. ACKEN: Let's skip ahead and answer -- I
3 want to focus on the question that's been asked --

4 A. (MR. UNREIN) Yeah.

5 Q. -- which is a good one, which is what role does
6 APS have in your -- in your connection request? And I
7 think you testified that APS conducts the studies. And I
8 think you testified that you have completed the System
9 Impact Study. You have received the completed System
10 Impact Study for the 345. You're awaiting it for the
11 500. Am I correct that there are additional studies that
12 must yet be completed, which include, I believe, a
13 feasibility study and then a large generator
14 interconnection agreement?

15 A. (MR. UNREIN) Yeah, so going forward beyond the
16 system impact studies, the 345-kV queue position, so it
17 has its System Impact Study and it's in currently what's
18 in -- what is called the Facilities Study, so System
19 Impact Study, then you move to a Facilities Study. The
20 345-kV queue position in that vintage of interconnection
21 requests, it studied 4 gigawatts of requested power
22 generation --

23 Q. Mr. Unrein, let's focus on the Feasibility
24 Study --

25 A. (MR. UNREIN) Okay.

1 Q. -- and then the next step, because there's
2 multiple steps that we have to get through.

3 A. (MR. UNREIN) So the facilities study -- so the
4 System Impact Study identifies broad network upgrades
5 that would be required, based on the interconnection
6 request. The Facilities Study goes into further detail
7 and analyzes the engineering schedule and financial
8 responsibilities for all those network upgrades that are
9 needed to be completed to maintain safe and reliable grid
10 operation, per FERC rules.

11 So System Impact Study, more detailed Facilities
12 Study, and then where it ends is a Large Generator
13 Interconnection Agreement, which is a legally binding
14 contract between us, the applicant, West Camp Wind Farm,
15 LLC, and the transmission owner, which in this case is
16 APS. And that's a legally binding contract that
17 stipulates each party's responsibilities to completing
18 those network upgrades that are required for the safe and
19 reliable operation of the grid.

20 So years of studies, then binding legal
21 contract, all again, to identify what upgrades are needed
22 to maintain the reliability of the grid.

23 Q. And so APS's role is to identify the additional
24 upgrades that will be required; is that correct?

25 A. (MR. UNREIN) Yes.

1 Q. Under either option?

2 A. (MR. UNREIN) Yes. And that is their primary --
3 they study all of the impacts to their system, and APS
4 identifies what -- what infrastructure would -- would
5 require upgrades to facilitate those electrons coming
6 onto their system.

7 Q. And APS will not enter into a large
8 generation -- Generator Interconnection Agreement without
9 assurance that the applicant or the interconnector would
10 address all of the necessary upgrades to ensure the
11 reliability and safety of the grid; is that correct?

12 A. (MR. UNREIN) That's correct.

13 CHMN. KATZ: What I would like to suggest is
14 maybe we'll take our 15-minute break now, get ourself
15 back on track. And I have something I needed to share
16 with you very briefly. But it's about just past 2:30.
17 We'll begin about 2:40 -- between 2:45 and 2:50.

18 (Recessed from 2:32 p.m. until 2:49 p.m.)

19 CHMN. KATZ: Sorry for the longer delay, but
20 we're only a couple minutes past. And you feel free
21 right now, Mr. Acken, to pick back up where you left off.
22 And hopefully we can get the 345- versus 500-kV issue
23 behind us, and we can move on to the environmental
24 studies that were done in this matter.

25 MR. ACKEN: Thank you, Mr. Chairman. And we

1 appreciate the Committee's questions and active
2 engagement. And we realize that this is a bit of a
3 unique request, and so, you know, we want -- it's
4 important to the applicant to obtain approval for both
5 the 345 and the 500 interconnection request. And so we
6 will spend -- answer any question the Committee might
7 have in order to give the Committee comfort as to the
8 request at issue.

9 Q. BY MR. ACKEN: So we've talked about the System
10 Impact Studies, Feasibility Studies, and ultimately the
11 interconnection agreement with APS. I want to take it
12 back to the original question that Member Haenichen
13 asked, which is why. Why are you asking for approval for
14 both a 345-kV and a 500-kV interconnection?

15 A. (MR. UNREIN) We're seeking approval for a CEC
16 that provides that optionality, so that we can provide
17 our wind energy where it is needed on Northern Arizona's
18 current transmission grid in the coming years when --
19 when our wind farm is built.

20 Q. And will you confirm that, ultimately, you will
21 only build one or the other, but not both?

22 A. (MR. UNREIN) Yes.

23 Q. Thank you.

24 Mr. Gardner, you know there's another moving
25 part in this proceeding, which is not atypical, which is

1 the request for multiple CECs. This Committee has seen
2 the request and authorized multiple CECs in the Hashknife
3 case, which I believe was case 187; Serrano, 186; and
4 Atlas, 202, I'm sure there are others too. Those are the
5 ones I'm familiar with.

6 Why are you requesting two CECs in this
7 proceeding?

8 A. (MR. GARDNER) We are requesting two CECs at the
9 recommendation and guidance of APS, who will own the
10 switchyard and some of the project infrastructure under
11 CEC-2.

12 Q. And describe the facilities which each CEC will
13 cover? And I think using the figures, and if you could
14 identify for the record, you know, when you're looking at
15 a figure the page number, I think, would be helpful for
16 those of us that are visual thinkers to understand which
17 CEC is going to cover what.

18 A. (MR. GARDNER) Sure. So I think that Mr. Unrein
19 described it best earlier. CEC-1 is going to be all
20 project infrastructure that is ultimately owned by the
21 applicant, AES. CEC-2 is all project infrastructure that
22 will be ultimately owned by APS. So what that means
23 tangibly is that for the 345-kV interconnection option,
24 as you can see on slide 43 of the hearing, it notes, in
25 the switchyard section, APS will own the switching

1 station and the transmission line coming out of the
2 switching station up to the first pole structure. And
3 we'll show this in our -- in our visual tour. It will be
4 a lot easier to kind of see there for the visual thinkers
5 and learners.

6 So AES, applicant, will own -- sorry, wrong
7 button -- will own the line coming in. APS will own the
8 switching station and the line tap on the 345-kV line.
9 And that will be covered under CEC-2.

10 For the 500-kV option, APS will own the
11 infrastructure, which is inside of this APS-controlled
12 access area, outside to the first transmission pole
13 structure, similar to the switching station.
14 Applicant -- and that is covered under CEC-2 -- the
15 applicant will own all other project infrastructure up to
16 that point.

17 Q. And then the figure that is shown on slide 44,
18 that reflects the area that will be covered by CEC-1; is
19 that correct?

20 A. (MR. GARDNER) Yes, that is correct.

21 CHMN. KATZ: Would you show that on the map?

22 MR. GARDNER: So -- yes, sir. So CEC-1 will be
23 all of the project infrastructure inside of the
24 infrastructure siting area into the switching station.
25 And the gen-tie line corridor, all the way up to the

1 Cholla Substation. And then CEC-2 will just be right at
2 the point of interconnections for both.

3 Q. BY MR. ACKEN: Mr. Unrein, describe the typical
4 tower structures that will be used for the gen-ties?

5 A. (MR. UNREIN) For the 345-kV option shown on the
6 screen to the right, these would be typical steel
7 monopoles with a maximum height of 195 feet. For the
8 500-kV interconnection option, the transmission
9 structures would consist of dual poles with bracing in
10 between at the same maximum height as the 345-kV option.
11 And additional structured -- structured details can be
12 found in Exhibit G of -- of our CEC application.

13 Q. Next describe the on-site project collector
14 substations.

15 A. (MR. UNREIN) So the primary function of our
16 on-site collector substation is to step the voltage up
17 from 34.5-kV to the interconnection voltage of either
18 345- or 500-kV. So the energy that comes out of our wind
19 turbines is 34.5. That energy will enter bus work in the
20 substation prior to being routed into our main power
21 transformer, and the substation also includes a wide
22 range of typical switches and breakers and metering
23 devices to allow for isolation and control of the wind
24 energy coming out of our project.

25 Q. And will the substations be conceptually

1 similar, whether it's 345- or 500-kV voltage?

2 A. (MR. UNREIN) Yes. And in the circumstance with
3 these collector substations, the primary difference is
4 the rating of your main power transformer, otherwise,
5 most of the balance of plant ancillary infrastructure is
6 very similar.

7 CHMN. KATZ: 500, what was the substation that
8 it connects to up north?

9 MR. UNREIN: The Cholla -- the Cholla
10 Substation.

11 CHMN. KATZ: That's what I wrote down. I wanted
12 to make sure we were speaking the same language.

13 Go ahead.

14 MR. ACKEN: Thank you.

15 Q. BY MR. ACKEN: Next I'd like you to describe the
16 345-kV switchyard that would be constructed if the 345-kV
17 option is elected.

18 A. (MR. UNREIN) Sure. So the switchyard, its
19 fundamental purpose is -- is similar to that of a
20 substation, except that it does not change the voltage of
21 the electricity. So it's -- it's to allow -- it has
22 various breakers and metering and switches and electronic
23 controls, so it, again, allows isolation and control
24 of -- of the electrons. And this is the infrastructure
25 that physically would tie into APS's existing line, and

1 it would -- it gives them operational control of these
2 electrons.

3 Q. So next we're going to present the virtual
4 tours. Before we do, Mr. Gardner, I'd like you to orient
5 the committee to the conceptual gen-tie options that will
6 be shown in the tour, starting with the 345-kV option.

7 A. (MR. GARDNER) So on the right screen on slide
8 53, you can see the 345-kV option. Again, this option is
9 conceptual. It is sited entirely on private property
10 within our greater wind farm area and infrastructure
11 siting area. So for both of these tours we're going to
12 be looking at a dual substation layout. So for here,
13 there will be one collector substation in this section,
14 one collector substation in this section. And then the
15 345-kV gen-tie line, which extends from those substations
16 and eventually to the switching station, tied into the
17 existing APS transmission line.

18 So we'll be seeing -- showing this virtual tour
19 on the left, and you can see on the right the map of
20 where it's going, and I'll be describing that as well.

21 (Virtual tour video played.)

22 A. (MR. GARDNER) So here we're zooming in on our
23 infrastructure siting area. Here you'll see that first
24 collector substation in this section, 32. We'll zoom in.
25 And this is similar to what Mr. Unrein just described or

1 the same as what Mr. Unrein just described.

2 So this 345-kV line will come out of the
3 collector substation and head south to the second
4 collector substation. These are those steel monopoles
5 that Mr. Unrein described. As you can see, the landscape
6 here is very sparsely vegetated, fairly barren landscape.
7 So here's that second collector substation. We'll go in
8 and take a closer look. This is identical to the first
9 collector substation. Again, this would be for a
10 multi-phase build-out of the project that I discussed
11 earlier. You can also see the wind farm infrastructure
12 and turbines that would be present.

13 Here, we'll continue along the 345-kV gen-tie
14 line, heading north to the switchyard section, where it
15 will eventually tie into the grid. So now we're heading
16 along the western part of the infrastructure siting area.
17 Here you can see the three existing APS-owned
18 transmission lines where we will cross. And then here
19 you can see the point of change of ownership, which we
20 discussed, so blue would be CEC-1, pink would be CEC-2.
21 And then this is the switching station which ties into
22 the existing 345-kV Cholla-Mazarzal transmission line.

23 Q. And next, I'd like you to do the same for the
24 500-kV option, first orient and then present the tour.

25 A. (MR. GARDNER) So, again, this is the 500-kV

1 option. This would utilize the same collection
2 substation layout that the previous virtual tour shown --
3 showed. So the first collector substation would be in
4 the southern section; the 500-kV gen-tie line would then
5 come to the second collector substation, would extend
6 north through the infrastructure siting area into the gen-tie
7 line corridor to Cholla Substation, all on private
8 property. And then here, it would change ownership going
9 into Cholla. And that's where CEC-2 will begin. So
10 we'll see that on the virtual tour here.

11 So, again, we're zooming in on the first
12 collector substation in the southernmost substation
13 section. Like Mr. Unrein said, from this perspective,
14 the substations would look almost identical between the
15 345- and the 500-kV option. Here we'll start heading
16 north. These are those structures that Mr. Unrein
17 described. So this is the 500-kV gen-tie line, heading
18 north to the second collector substation through our
19 infrastructure siting area on private property.

20 CHMN. KATZ: And, again, this is the same route,
21 beginning of the route as we were doing before, correct?

22 MR. GARDNER: Yes, sir. The line would be in
23 the same area.

24 Here, the 500-kV line will begin heading north
25 out of our infrastructure siting area to the gen-tie line

1 corridor to Cholla Substation. As you can see, and you
2 will see, the land gets more barren and more sparsely
3 vegetated as you head north.

4 So here we're exiting our infrastructure siting
5 area. We would pass the three existing transmission
6 lines. And now we'll be paralleling those transmission
7 lines with our 500-kV transmission line in the 150-foot
8 wide transmission easement, which we have secured with
9 the private property owner. So we'll stay in that
10 transmission easement heading north.

11 Again, the POCO, or point of change of
12 ownership, here, will be shown where it goes from green
13 to pink outside of the APS control area, so this would be
14 CEC-2; the green is CEC-1.

15 Q. BY MR. ACKEN: What is the corridor for the
16 right-of-way -- or maybe it isn't a corridor, what is the
17 right-of-way which you are requesting for the 500-kV line
18 once it leaves the infrastructure siting area?

19 A. (MR. GARDNER) So the gen-tie line corridor to
20 the Cholla Substation, as is shown in the legend over
21 here, that is almost entirely a 150-foot wide
22 transmission easement, which we have secured with a
23 single private property owner. So 150 feet wide outside
24 of the infrastructure siting area heading north up until
25 the APS-owned land outside of the Cholla Substation.

1 Q. And so you are able to make that request right
2 away, quite narrow, because you already have acquired the
3 land rights that you need for that transmission line?

4 A. (MR. GARDNER) Yes, we have the land rights
5 secured for the entire project at this point.

6 Q. And, again, that's entirely on privately owned
7 land?

8 A. (MR. GARDNER) That is correct.

9 Q. Next we're going to shift to the benefits
10 associated with the project, the gen-tie, and then the
11 wind project as well. Let's start off by describing the
12 benefits of the project's location.

13 A. (MR. GARDNER) So I do want to start off by
14 saying that a lot of these benefits stem from the wind
15 farm, which we got approval for from Navajo County.
16 However, this wind farm and these benefits would not be
17 possible without the gen-tie interconnecting to the
18 greater grid.

19 So, as we mentioned earlier, this project is in
20 an incredibly remote area. It would utilize existing APS
21 transmission infrastructure which APS rate payers have
22 already paid for. It would allow for the existing uses,
23 like cattle on this ranch, to continue and it would
24 provide clean, reliable energy to Arizona and diversify
25 the energy resources in Arizona without having a

1 significant impact on the surrounding area.

2 Q. What are the economic benefits associated with
3 the project?

4 A. (MR. GARDNER) So, you know, the numbers on
5 slide 60 on the left side, those job numbers stem
6 directly from the Chevelon-Butte Wind Farm, which we are
7 constructing just down the road from this project that
8 we're seeking approval for. This is a foundation for a
9 turbine, and, you know, these projects bring significant
10 job impacts to the areas, so 400 -- over 400 on-site
11 construction jobs during construction, between 20 and 30
12 long-term local jobs in Navajo County for the life of the
13 project.

14 Additionally, we're looking at an approximate
15 \$1 billion capital investment in this area which would,
16 you know, allow for approximately \$46 million in property
17 taxes to be paid in the county over the 30-year life of
18 the project. Additionally, significant annual workers'
19 salary payments for those people that are living out
20 here. So, you know, massive job creation, massive
21 economic benefits for Navajo County.

22 Q. We're now going to turn to the testimony on
23 environmental compatibility. For this discussion we're
24 going to start with Ms. Shin, who has patiently awaiting
25 her opportunity. If you would, please provide an

1 overview of your environmental resource analysis.

2 A. (MS. SHIN) We conducted an environmental
3 analysis for several resources, this includes
4 jurisdiction, land use, and recreation, which is
5 contained in the application Exhibits A, F, and H;
6 biological resources, which are in application Exhibits
7 B, C, and D; cultural and visual resources, which are in
8 Exhibit E; and sound and interference, which is in
9 Exhibit I.

10 Our overall approach to analysis was to identify
11 the potential resources located within the gen-tie
12 project area and to evaluate effects to those resources
13 from either the 345- or the 500-kV interconnection
14 option. By gen-tie project area, I mean the
15 infrastructure siting area and the gen-tie line corridor
16 to Cholla Substation that's been previously described.
17 To identify resources and conduct our analysis, we did
18 desktop reviews, as well as field reconnaissance. We
19 also drew on studies that were completed for the larger
20 wind farm site. And the resource effects that we'll
21 discuss today are in consideration of both the 345-kV and
22 the 500-kV interconnection.

23 Q. Let's start with jurisdiction and land use and
24 describe your analysis for the Committee.

25 A. (MS. SHIN) To evaluate land use, we first

1 looked at the current land uses and land activities in
2 the gen-tie project area and on the surrounding lands.
3 We looked at land ownership and jurisdiction, as well as
4 the zoning designations and the local plans and policies.

5 To identify other planned development within
6 five miles of the gen-tie project, we conducted an online
7 search, as well as sending agency outreach letters to the
8 Navajo County Planning and Zoning Department, the Arizona
9 State Land Department, Arizona Game & Fish Department,
10 and the Bureau of Land Management Safford Field Office.

11 Q. What land uses did you identify surrounding the
12 gen-tie project?

13 A. (MS. SHIN) The gen-tie project is located
14 entirely on private lands in Navajo County. The
15 predominant land uses in the gen-tie project area and
16 surrounding lands is cattle ranching and electrical
17 transmission facilities. There are no designated public
18 recreation areas within the project; however, there is
19 some public recreation and hunting access that occurs
20 through the project area.

21 And the area surrounding the project is a
22 sparsely developed rural area, I'm going to highlight on
23 the map, that is located on slide 69, so on our
24 right-hand screen here. We've talked several times about
25 this, but I'm just going to run through it again. There

1 are three existing high-voltage electrical transmission
2 lines that cross through the infrastructure siting area,
3 as well as parallel the gen-tie line corridor to Cholla
4 Substation.

5 There are additional high-voltage transmission
6 lines that are located east of the project area, as well
7 as up by the Cholla Substation. The Cholla Substation
8 and the Cholla Power Plant are located near the northern
9 terminus of the gen-tie line corridor to Cholla
10 Substation. The unincorporated community of Joseph City
11 is located approximately two and a half miles to the
12 northwest of the Cholla Substation.

13 There are some residences or residential-type
14 structures that are located within one mile of the
15 project. Those residences are located near the northern
16 terminus of the gen-tie line corridor to Cholla
17 Substation, as well as near the Cholla Substation. There
18 are also additional residences that are located in the
19 rural Chevelon Canyon Ranch subdivision, and that is
20 located on the west side of the infrastructure siting
21 area.

22 Regarding other planned developments, there are
23 three other utility-scale renewable energy projects that
24 are proposed within five miles of the gen-tie project.
25 Additionally, as we've discussed before, the

1 Chevelon-Butte Wind Farm is under construction
2 approximately 15 miles to the west of this project.

3 Q. What are your conclusions with respect to the
4 project's potential effects on surrounding land uses?

5 A. (MS. SHIN) The project would be compatible with
6 existing land uses. There would be no change in
7 jurisdiction or land ownership. The project would allow
8 the existing land uses to continue. There would be some
9 temporary restrictions on public access and hunting
10 access through the project area during construction;
11 however, the project would allow those uses to continue
12 into the future.

13 This project would also be consistent with the
14 other planned utility-scale development projects that are
15 located within five miles. Regarding planning and
16 zoning, utility facilities like the gen-tie project are
17 permitted uses in the Navajo County zoning districts in
18 which the project is located. And the utility facilities
19 are consistent with the Navajo County land use plans.

20 It's important to note that the Navajo County
21 Board of Supervisors unanimously approved a Special Use
22 Permit for the wind project in September of this year.

23 Q. Next, we're going to turn to biological
24 resources.

25 Mr. Graber, describe your evaluation.

1 A. (MR. GRABER) Our evaluation included a review
2 of -- sorry, I'm going to start over -- our evaluation
3 included a review of special status species in special
4 areas that are listed by federal and state environmental
5 review tools reports. That includes looking at the area
6 within three miles of the gen-tie and four miles of the
7 wind project.

8 We reviewed publicly available data sources
9 including, for example, important bird areas and wildlife
10 linkages. We had multiple discussions with Arizona Game
11 & Fish and Fish and Wildlife Service that included data
12 sharing with those groups. We conducted a site
13 reconnaissance visit, and over the course of conducting
14 preconstruction wildlife surveys for the wind project,
15 for two years, became familiar with the project site, the
16 habitat features, and so forth.

17 Q. Did you develop any plans in coordination with
18 Fish and Wildlife and Game & Fish?

19 A. (MR. GRABER) So for the -- specific to the wind
20 project, which includes the infrastructure siting area,
21 we developed a wildlife survey plan that was in
22 conjunction, yes, with Fish and Wildlife Service and
23 Arizona Game & Fish that highlighted the surveys that
24 were conducted for the past two years. Those surveys are
25 also planned for next year. Those surveys include, for

1 example, raptor nest surveys, avian use surveys, eagle
2 flight path mapping, and bat acoustic surveys. We also
3 conducted a desktop evaluation of Waters of the U.S.

4 Q. As a result of all of the study work you've done
5 to date, what type of wildlife have you identified that
6 may be present in the study area?

7 A. (MR. GRABER) Yeah, so generally speaking, the
8 wildlife that are present and that we would expect in the
9 future are characteristic of juniper savanna and
10 grassland habitats, which are ubiquitous habitats for
11 Northern Arizona. The Little Colorado River will be
12 spanned at the northern extreme of the line to Cholla.
13 That river corridor is relatively sparsely vegetated, but
14 could be used as a marginal stop-over habitat for migrant
15 birds.

16 We determined that one federally listed species,
17 Peebles Navajo cactus, and one federal candidate species,
18 Monarch butterfly, could be present on site. To give a
19 little bit more flavor of those two species: So the
20 Peebles Navajo cactus has a very limited range, from
21 Joseph City to Holbrook, essentially north of the
22 highway, north of the gen-tie project. It requires
23 specialized soils. We determined that those soils aren't
24 present, based on the mapping that we're privy to, but
25 that species could occur, and there's plans to evaluate

1 whether or not that species is present.

2 Monarch butterfly has a more extensive range of
3 both breeding and migration range in Northern Arizona.
4 That species can use or does use milkweed as its larval
5 host plant and other native flowering plants that could
6 be present within the project area.

7 As far as other special status species, we
8 provided a list in Exhibit C of the application. Those
9 include, for example, Pinyon jay, both eagle species,
10 pronghorn, ferruginous hawk, and so forth.

11 Q. Mr. Gardner, Mr. Graber referenced the wildlife
12 study plans with Game & Fish, but I'd like you to
13 describe your coordination efforts with fish and state
14 wildlife agency.

15 A. (MR. GARDNER) Yeah, so, you know, we've had
16 extensive conversations with federal and state agencies
17 beginning in January of 2021. Since then we've had an
18 in-person meeting, multiple video and phone conversations
19 with U.S. Fish and Wildlife Service, and Arizona Game &
20 Fish. AGFD did provide a letter specific to our gen-tie
21 project on recommendations and mitigation measures for
22 this project. We had a follow-up conversation with AGFD
23 to, you know, talk about those mitigation measures and
24 make sure that we were all on the same page on those, and
25 we did that.

1 So, you know, in addition to that, we are
2 planning over the next few years as engineering on this
3 project progresses to continue that coordination and
4 continue working with those agencies to make sure that
5 this project, you know, follows all the rules and does
6 all the mitigation measures necessary.

7 Yeah, that's about it.

8 Q. Thank you.

9 Mr. Graber, describe the mitigation measures,
10 that will be implemented with respect to biological
11 resources.

12 A. (MR. GRABER) Yeah, the applicant will be
13 following avoidance and minimization records, based on
14 the recommendations that Arizona Game & Fish provided.
15 Those include avian protection, Line Interaction
16 Committee, avian design recommendations for reducing
17 electrocution and collision risk for birds.

18 And what that looks like for this project, so
19 where the line would cross the Little Colorado River,
20 there would be avian flight diverters on that line. In
21 addition, there would be appropriate separation between
22 grounds and -- energized parts and grounds to accommodate
23 perching eagles.

24 Spanning the Little Colorado River and other
25 surface waters on-site, we'll provide the benefit of

1 avoiding the potential Waters of the U.S. and wetlands --
2 wetland wildlife species that could use those features.
3 With regard to -- to avoiding Peebles Navajo cactus, the
4 applicant is committed to identifying whether or not
5 appropriate soil types are present at that northern
6 extreme of the line. And if those soil types are
7 present, then conducting surveys to identify individuals
8 to inform siting.

9 With regard to the Monarch butterfly, the
10 applicants -- the applicant would avoid milkweed and
11 other native flowering plants, to the extent possible.
12 Any disturbance areas will be re-vegetated with native
13 pollinator friendly seed mixes, also to the extent
14 possible. In addition, the project would minimize the
15 introduction and spread of noxious weeds. And I think
16 that's -- I think that's all I have.

17 Oh, sorry, wanted to remember one more thing.
18 So active nests would be avoided in compliance with the
19 Migratory Bird Treaty Act and the Arizona Revised
20 Statutes.

21 CHMN. KATZ: Just clarify for me, again, if you
22 would, I understand the Monarch butterfly, what was the
23 other species of concern?

24 MR. GRABER: Yeah, so the Monarch butterfly is
25 familiar to a lot of us. The Peebles Navajo cactus is

1 the other one.

2 CHMN. KATZ: People of Navajo cactus?

3 MR. GRABER: Sorry, it's called Peebles,
4 P-e-e-b-l-e-s, Peebles Navajo cactus. It's a very small
5 cactus, hard to see, that only exists in very specialized
6 soil types, primarily northeast of the project site.

7 CHMN. KATZ: Thanks.

8 Q. BY MR. ACKEN: Mr. Graber, what are your
9 conclusions with respect -- with respect to the project's
10 potential effects on biological resources?

11 A. (MR. GRABER) So the project will not impact
12 areas of biological wealth. There would be minimal
13 impacts to special status species, given the limited
14 project footprint, as well as the co-location with
15 current infrastructure. And by implementing minimization
16 and avoidance measures that I previously mentioned, this
17 project would be compatible with the resource.

18 Q. Okay. Thank you.

19 Ms. Shin, let's turn next to cultural resources,
20 which are described in Exhibit E to the application.
21 Describe your evaluation.

22 A. (MS. SHIN) To evaluate cultural resources, an
23 archival records search was conducted, and that looked at
24 previous pedestrian surveys and previously recorded
25 cultural resources within the gen-tie project area, as

1 well as a one-mile buffer of the gen-tie project area.
2 That archival record search included searching online
3 databases, which includes the AZSITE database, and the
4 Digital Archaeological Records database. And those both
5 house records from the Arizona State Museum, as well as
6 other sources.

7 A review of the National Park Service's National
8 Register of Historic Places database was also conducted,
9 as well as looking at historical maps and aerial imagery.
10 As a result of that archival research, we identified 89
11 historic sites, historic structures, and archaeological
12 sites located within the gen-tie project area and the
13 one-mile buffer; 23 of those sites are located within the
14 gen-tie project area. And just to provide a little
15 example of what those 23 sites are within the gen-tie
16 project area, it includes an historic transmission line,
17 which is APS's 69-kV Cholla to Kings Canyon line. It
18 includes an historic cattle grazing area, as well as
19 prehistoric Native American habitation sites. And those
20 sites include sites consisting of features, which are
21 likely campsites, as well as sites consisting of
22 artifacts. And those artifacts include stone toolmaking
23 debris, as well as ceramic fragments.

24 Q. Have you consulted with tribes that may have
25 interest in this area?

1 A. (MS. SHIN) Yes, the applicant sent outreach
2 letters to eight tribes that may have an interest in the
3 area, in May of this year. We received one response to
4 that outreach, and that was from the Hopi tribe. And
5 they requested continued coordination on future cultural
6 resource surveys in the project area.

7 Q. And what about SHPO, the Arizona State Historic
8 Preservation Office, have you consulted with them as
9 well?

10 A. (MS. SHIN) SHPO has been included on all of the
11 project mailings for this project. Additionally, they
12 were provided a copy of the application and exhibits for
13 their review. We received a response from SHPO to the
14 application. That response is included in WCW-7 in the
15 supplemental exhibits. Their response confirmed that
16 there are no cultural resources within the areas of
17 direct or indirect effects of the project. And they also
18 recommended that pedestrian surveys be conducted prior to
19 construction.

20 Q. To that end and to the recommendation, what
21 mitigation measures will be implemented to minimize and
22 avoid potential impacts?

23 A. (MS. SHIN) Prior to construction, pedestrian
24 surveys would be conducted in areas of proposed ground
25 disturbance and identified cultural resources would be

1 avoided.

2 Q. And what are your conclusions with respect to
3 the project's potential effects on cultural resources?

4 A. (MS. SHIN) Given the planned avoidance, there
5 would be no effects to cultural resources.

6 Q. Thank you.

7 Next, describe your analysis of visual
8 resources.

9 A. (MS. SHIN) Our analysis of visual resources
10 began with an identification of designated scenic areas
11 in the project area and five miles around the project.
12 By "designated scenic area" I mean national or state
13 parks, scenic overlooks or wild and scenic rivers. We
14 then conducted a field visit to assess the characteristic
15 landscape of the project area and surrounding lands.

16 Two photorealistic simulations were conducted
17 for the project from key observation points or KOPs. We
18 then conducted a visual contrast effects analysis to
19 determine the effects on sensitive viewers. And the
20 sensitive viewers for our project would include
21 residences, recreationists, and travelers on area
22 roadways.

23 Regarding the visual setting, we determined that
24 there are no designated scenic areas within the project
25 area or five miles surrounding the project. The

1 landscape is generally characterized by flat, open areas
2 with minor undulations in topography. The area
3 surrounding the project is mostly undeveloped. Where it
4 is developed, it's been modified by roads, ranching
5 infrastructure, the existing high-voltage transmission
6 lines that we've previously discussed, as well as the
7 Cholla Substation and the Cholla Power Plant.

8 Also, as previously discussed, the area around
9 the project is sparsely populated. There are several
10 ranch buildings and residential-type structures that are
11 located within one mile of the gen-tie project, and
12 again, those residences are located at the northern
13 terminus of the gen-tie line corridor to Cholla
14 Substation near the Cholla Substation, as well as west of
15 the infrastructure siting area in the rural Chevelon
16 Canyon Ranch subdivision.

17 Q. Next present the simulations that you prepared
18 for the project.

19 A. (MS. SHIN) We prepared two visual simulations
20 for the project, the first one that we're going to review
21 is from Obed Road, and this simulation is done from
22 approximately .9 miles south of the gen-tie line corridor
23 to Cholla Substation, and I just want to orient you
24 really quick to where that KOP is located. So on both
25 slides 84 and 85 there is a small inset map that is

1 located on the left-hand side of the screen, and the KOP
2 location is identified by the red dot, and the view that
3 we are seeing in the photo is indicated by this gray
4 triangle that's shown in here.

5 So from this view we are facing north towards
6 the gen-tie line corridor to the Cholla Substation and
7 the KOP line is located along Obed Road. And this view
8 represents the view that travelers along Obed Road would
9 have of the project. In the existing conditions, which
10 are shown on slide 84 on the left-hand screen here, you
11 can see that we have the paved Obed Road; we have some
12 cattle fencing; there is a communication cell phone
13 tower; and there is also existing distribution level and
14 high-voltage transmission facilities that are within
15 view.

16 So we'll now turn our attention to slide 85,
17 where we now have simulated the gen-tie project. And in
18 this view we are now looking at the 500-kV gen-tie line
19 option. And this is the H-frame structures that we saw
20 in the flyover, so I'm going to go ahead and point to
21 where those structures are, because it can be a little
22 difficult to see. But there's a structure here, here,
23 and we're going to follow the structures are simulated
24 throughout the entirety of this view.

25 The proposed project location and dash line that

1 you see at the top of the image here, this just
2 represents that the project is simulated within the
3 entire view. So the project is simulated from the
4 left-hand side all the way to the right-hand side. As
5 you can see in the simulation, the gen-tie project
6 creates weak contrast and is absorbed into the existing
7 landscape from this view, and it's repeating a lot of the
8 same basic visual elements that are already in view.

9 We'll now turn our attention to the second
10 simulation that was conducted, so this simulation was
11 conducted on Siby Road, which is a private residential
12 road located within the Chevelon Canyon Ranch
13 subdivision. And, again, I want to orient you to the
14 inset map on both slides 86 and 87, where the red dot is
15 showing the KOP location and the gray triangle is showing
16 our field of view.

17 From this location we're approximately .45-mile
18 west of the infrastructure siting area, and we are facing
19 east towards the project. In the existing condition
20 photo on slide 86, you'll see that we have an unpaved
21 road, as well as some residential fencing in the
22 foreground. In the middle ground and background, we are
23 seeing a mostly unmodified characteristic landscape.

24 We'll now the turn our attention to the
25 simulated condition, which is shown on slide 87. In this

1 simulation we are now seeing the 345-kV interconnection
2 option. These are the monopoles that we saw in the
3 flyover. Similar to the previous simulation, again, we
4 have our proposed project location dashed white line
5 showing that our project is in view for the entire
6 screen. And, yeah, I'm going to go ahead and show you
7 here where the monopoles are, because they can be a bit
8 difficult to distinguish. But you can see those
9 monopoles here. They are the ones without the turbine
10 blades on them.

11 In this simulated condition, you can see that
12 the gen-tie line is creating new visual elements that are
13 not presently found in the existing condition. And with
14 that we have a moderate-to-strong contrast. It's also
15 important to note, as you can see in the simulation, that
16 wind turbines would be constructed in this view, and
17 those would further modify the landscape.

18 Q. Present your conclusions regarding visual
19 resource potential effects.

20 A. (MS. SHIN) Overall, there would be minimal
21 visual effects from the project, because few people live
22 near or pass through the project area, and there is
23 existing infrastructure that's present in a significant
24 portion of the project. As dem- -- as demonstrated
25 through our simulations, where the viewer is looking at

1 the existing transmission infrastructure, our project
2 creates weak contrast and repeats some of the same basic
3 visual elements that are already in view. Where the
4 viewer is closer to the project and the existing
5 infrastructure is not in view, the project would have a
6 moderate-to-strong contrast.

7 Regarding views from primary travel routes for
8 travelers on the area roadways including State Route 377,
9 State Route 99, and Interstate 40, the project would have
10 a weak contrast, and that's primarily due to distance
11 from the project intervening topography, as well as,
12 again, views of the existing infrastructure.

13 Q. Next describe the analysis you conducted for
14 sound and interference contained in Exhibit I to the
15 application.

16 A. (MS. SHIN) For sound and interference, we
17 considered the potential effects from construction and
18 operations of the project in context of the existing
19 conditions, as well as the location of noise-sensitive
20 receptors.

21 As part of our evaluation, we measured the
22 ambient sound level of the project area, and that was
23 measured at a level 33.6 dBA or A-weighted decibels. And
24 that ambient sound level is representative of a quiet
25 rural environment. We then conducted a qualitative

1 analysis, using reference project that modeled sound for
2 345- and 500-kV transmission lines in similar
3 environments. And those reference projects modeled under
4 both fair weather and wet weather scenarios.

5 In preparing for this hearing, we identified an
6 error in the stated attenuation distances that were
7 included in Exhibit I in the section "anticipated noise
8 during operation." A revised analysis for anticipated
9 noise during operation is included in the supplemental
10 exhibits, and that's marked as WCW-5.

11 Q. What are the potential effects of the project on
12 ambient sound levels and communication signals?

13 A. (MS. SHIN) During construction, the sound
14 levels from the project would be elevated above the
15 ambient sound level in the gen-tie project area and the
16 vicinity of the gen-tie project area. This is primarily
17 due to the use of standard construction equipment, as
18 well as helicopter use during line stringing at the
19 Little Colorado River crossing.

20 These construction elevated sound levels would
21 be short-term and temporary, and they'd also be limited
22 to daylight hours. During operations, regarding
23 construction noise for the transmission line, it's
24 estimated that the corona noise would attenuate or be
25 below the ambient sound level directly underneath the

1 transmission line in a fair weather scenario.

2 Under a wet weather scenario, it's anticipated
3 that corona noise would attenuate below the ambient sound
4 level, approximately 820 feet from the transmission line.
5 It's important to note that during a wet weather
6 scenario, the ambient sound levels would also be elevated
7 due to sounds that are associated with wet weather, such
8 as wind, rain, and thunder.

9 Given that, it's anticipated that corona noise,
10 under both fair weather and wet weather conditions, would
11 be either indistinguishable from the ambient sound levels
12 or inaudible at the nearest noise-sensitive receptors.

13 For operations noise associated with the
14 substation and switchyard facilities, the substation
15 locations that we previously described are more than
16 three miles from the nearest noise-sensitive receptor.
17 The switchyard location is more than one and a half miles
18 from the nearest noise-sensitive receptor. At these
19 distances, it's anticipated that operations noise would
20 be inaudible at the nearest noise-sensitive receptors.

21 Radio or broadcast television interference is
22 not anticipated to result from this project. As
23 previously described, residences in the vicinity of the
24 project are also in close proximity to the three existing
25 high-voltage transmission lines and an additive effect is

1 not anticipated.

2 Q. Thank you.

3 Now, I'd like -- or I'd ask you to present your
4 overall conclusions with respect to the environmental
5 compatibility of the gen-tie project.

6 A. (MS. SHIN) In my professional opinion, the
7 project would be environmentally compatible. It would
8 have a relatively small disturbance footprint. Much of
9 the area has been impacted by the existing ranching
10 activities. The project would allow for continued use of
11 the land uses. The project would have no impacts to
12 areas of biological wealth and minimal impacts to special
13 status species. The project would avoid known
14 archaeological or historical sites of significance.
15 There would also be minimal visual and sound effects as
16 the area is sparsely populated, and there are existing
17 infrastructure within proximity to residences.

18 Q. There's been a lot of discussion today about the
19 two options -- interconnection options, the 345-kV option
20 and the 500-kV option. And, of course, at the end of the
21 day, the Committee's job is to make a determination based
22 on the environmental compatibility of the project. So
23 I'd ask you directly, if there is any difference with
24 respect to the environmental compatibility of the 345-kV
25 interconnection option, as compared to the 500-kV

1 interconnection option?

2 A. (MS. SHIN) There are no material differences in
3 the environmental compatibility between the 345- and the
4 500-kV interconnection options. And as I described at
5 the beginning of the environmental section here, we
6 evaluated the entirety of the gen-tie project area and
7 considered the effects of both interconnection options.

8 Both options would be compatible with the
9 existing land uses and would utilize existing electrical
10 infrastructure. There's a negligible difference in
11 permanent disturbance between the two options, and with
12 the implementation of the mitigation and avoidance
13 measures that we've described, there would be no material
14 differences in environmental effects.

15 Q. Thank you.

16 We're going to shift from environmental
17 compatibility to public outreach. And in so doing we're
18 going to discuss public outreach that was conducted both
19 for the CEC proceeding, as well as the Special Use Permit
20 that was issued by Navajo County.

21 Mr. Gardner, summarize the public outreach
22 efforts that were undertaken.

23 A. (MR. GARDNER) So as Mr. Acken stated, we
24 conducted extensive public outreach for both the gen-tie
25 project and the overall wind farm project. We published

1 a project website in April of this year. That project
2 website contains important dates, applications, includes
3 a public comment submittal form, where anyone can go on
4 and ask questions about the project or give comments
5 about the project. That comes directly to my e-mail and
6 we respond to all of those.

7 In total, we sent out three informational and
8 invitational letters to all property owners within one
9 mile of the wind farm and the gen-tie project.
10 Additionally, we hosted three publicly noticed meetings,
11 two in Holbrook and one in Joseph City, for members of
12 the community to come and give input and learn about the
13 project.

14 Q. Ms. Shin, in addition to the public outreach
15 efforts, describe how the public was notified of the
16 project.

17 A. (MS. SHIN) The public was notified of the
18 project in several ways. As Mr. Gardner described, three
19 public notification letters were mailed to property
20 owners within one mile of the project, as well as to
21 local, state, and federal agencies. Those public
22 notification letters included information about the
23 project, project updates, the link to the project
24 website, as well as the 1-800 phone number for the
25 project. It also included notification of the public

1 meetings, as well as notification of hearing for these
2 proceedings. The outreach letters also solicited public
3 comment.

4 In addition to mailings, several newspaper legal
5 notices were also conducted for the project. The public
6 meetings were advertised in the Holbrook Tribune.
7 Notices for these hearing proceedings were advertised
8 twice in the Arizona Republic and additional legal notice
9 was also published in the Holbrook Tribune.

10 Q. Did you also post signs in the vicinity of the
11 project as well?

12 A. (MS. SHIN) Yes. Notice of Hearing signs were
13 posted at four locations near the gen-tie project on
14 September 9th. The notice locations are shown on slide
15 101 on the figure that's on the right-hand side of the
16 screen, and those are identified by the star locations,
17 which I am showing with my pointer here. Those sign
18 locations were reviewed at the prefiling conference prior
19 to posting.

20 Q. And how did you make the CEC application and
21 supporting documents available for public review?

22 A. (MS. SHIN) The application, in addition to the
23 ACC docket control, the application was posted on the
24 project website, a copy of the application was sent to
25 the Holbrook -- Holbrook Public Library for review,

1 copies of the application were also sent to the State
2 Historic Preservation Office and the Arizona Game & Fish
3 Department.

4 Q. Mr. Gardner, as a result of the public outreach
5 efforts that you described, have you received any letters
6 of support?

7 A. (MR. GARDNER) We have. We received one letter
8 of support from the Joseph City Chamber of Commerce,
9 which is the nearest town to the project. Additionally,
10 we received a letter of support from Stephen Brophy,
11 president of Aztec Land and Cattle Company.

12 Q. And those two letters are shown on slide 105; is
13 that correct?

14 A. (MR. GARDNER) That is correct.

15 Q. And the letter from the Joseph City Chamber of
16 Commerce has been marked for identification as West Camp
17 Wind Exhibit Number 8; is that correct?

18 A. (MR. GARDNER) That's correct.

19 Q. And the Aztec Land and Cattle Company letter is
20 contained in the application; is that correct?

21 A. (MR. GARDNER) That's correct, yup.

22 Q. And Aztec Land and Cattle Company owns the land
23 on which all project facilities under both
24 interconnection options will be sited; is that correct?

25 A. (MR. GARDNER) That's correct, up to the

1 APS-owned land just outside of the Cholla Substation.

2 Q. Thank you for that.

3 Mr. Gardner, was the CEC application prepared
4 under your supervision and direction?

5 A. (MR. GARDNER) Yes, it was.

6 Q. And with the expansion of the corridor area
7 entering Cholla on APS land that you described, and the
8 revision to Exhibit I that Ms. Shin discussed, is the
9 application complete and accurate?

10 A. (MR. GARDNER) It is, yes, sir.

11 Q. Panel, do you have any concluding thoughts for
12 the Committee at this time?

13 A. (MR. UNREIN) Yes, Mr. Acken. I'd like to
14 provide a few closing remarks and conclusions. So
15 just -- just a few points of both reiterating, you know,
16 unique benefits that pertain to this gen-tie line and
17 some of the discussion we've had. This gen-tie line is
18 entirely on private property. Furthermore, we have land
19 rights secured to build all of the infrastructure that
20 we're seeking approval for from -- from this Committee.
21 Both of these interconnection options are within existing
22 or planned development areas, so the 345-kV
23 interconnection facilities, as shown there within our
24 broader wind farm area. The 500-kV option parallels
25 three existing transmission lines as soon as it

1 leaves -- leaves our wind farm area.

2 So both are squarely within existing development
3 areas. Both utilize existing transmission infrastructure
4 that rate payers have invested in and paid for in
5 Northern Arizona. Both utilize existing transmission
6 infrastructure. Both have been deemed, per our testimony
7 today, to be environmentally compatible.

8 And today we're seeking to preserve the
9 optionality of different interconnection voltages so that
10 we can send the wind energy from our wind farm to the
11 areas of Northern Arizona's transmission grid that need
12 it. This transmission line, which has been diligently
13 sited to avoid, minimize, and mitigate environmental
14 impacts, has the ancillary benefit of enabling decades of
15 environmental benefits from the wind farm.

16 And, in summary, this diligently sited wind
17 farm -- or diligently sited transmission line would
18 enable an approximate \$1 billion capital investment in
19 Navajo County. A capital investment that has been
20 unanimously approved by the Navajo County Board of
21 Supervisors, and a capital investment that, per
22 testimony, is poised to bring decades of economic and
23 environmental benefits to these communities who need it.

24 We're proud to be an existing corporate partner
25 of Coconino and Navajo counties, as we're currently

1 constructing the last wind farm gen-tie line that AES
2 proposed to this Committee in 2019. So we're happy to be
3 existing corporate -- corporate partners with these
4 communities. And we're excited to be bringing our next
5 wind farm gen-tie line to you for your consideration to
6 bring additional economic and environmental benefits to
7 Navajo County, who needs it.

8 With that, we would like to thank you for taking
9 the time to hear our testimony, to come to Flagstaff and
10 hear our testimony, and learn about the West Camp Wind
11 Farm Gen-Tie Project.

12 CHMN. KATZ: What --

13 MEMBER GRINNELL: Mr. Chairman?

14 CHMN. KATZ: Yes, go ahead, Mr. Grinnell.

15 MEMBER GRINNELL: The environmental
16 compatibility, I understand all that part, but you're
17 talking decades. What happens to these wind farms, and I
18 realize we don't have jurisdiction over wind farms, but
19 what happens to these areas that are being impacted with
20 the physical existence of wind farms, solar farms, or
21 whatever it is at the end of 30 years, because I was
22 reading your stuff, it says 30-year project.

23 So what happens to all these facilities that
24 you're building infrastructure for, power lines,
25 gen-ties, what happens to all that?

1 MR. UNREIN: That's a great question. As you --
2 as you indicated, our modern turbine technology and all
3 of the high-voltage infrastructure is designed for a
4 minimum 30-year useful life. So with our operations and
5 maintenance program, as we strive to be a very effective
6 operator of our wind farms, 30-year useful life. At the
7 end of that, we're legally required, via multiple means,
8 to decommission the wind farm, remove our equipment, and
9 restore the property to the greatest extent practicable
10 to what it looked like when we were never there.

11 And when I say we're legally obliged to do that,
12 our land arrangements legally oblige us to decommission,
13 remove our equipment, and restore the property. And,
14 furthermore, Navajo County's Special Use Permit legally
15 obliges us to decommission, remove -- decommission and
16 remove our equipment and restore the wind farm.

17 And we're actually required to post financial
18 security prior to construction of our wind farms, per
19 those requirements. So we have to post a financial
20 security of the estimated decommissioning costs before we
21 build it, in case AES were -- were to go away and leave
22 the wind farm behind standing there.

23 MEMBER GRINNELL: And what about -- what about
24 the gen-ties and the potential for 500-kV line, what
25 happens to all that infrastructure?

1 MR. UNREIN: So we're similarly legally obliged
2 to remove our equipment and restore the property via our
3 land arrangements. And, yeah, so same.

4 MEMBER PALMER: Mr. Chairman?

5 CHMN. KATZ: Mr. Palmer.

6 MEMBER PALMER: Does your Special Use Permit
7 provide for an option of refurbishing or restoring or
8 renewing the equipment and continue to operate or would
9 you have to go through another process to do that?

10 MR. UNREIN: Yes, so -- excuse me -- Navajo
11 County's Special Use Permit, they are unique in that they
12 essentially run in perpetuity with the land. And any
13 major modifications to what we sought authorization for
14 would require an amendment. So Navajo County Special Use
15 Permits run for a long time, but yeah, if we were to
16 repower and, you know, recommission the turbines with new
17 technology, that would almost certainly trigger an
18 amendment in the future that we would have to seek
19 discretionary approval of.

20 MEMBER PALMER: I don't expect to last 30 years,
21 but I fully expect Jack will still be here.

22 CHMN. KATZ: Speaking of Jack, Mr. Haenichen,
23 did you have a question or a concern?

24 MEMBER HAENICHEN: I do. This is -- this is a
25 general question that not only applies to this hearing,

1 but other similar hearings, where there are -- large
2 amounts of generation are involved, even though we have
3 no say over it. Here's my question for you: We learned
4 today in testimony, I don't remember by whom, that here's
5 the line coming out, and it's going to connect into an
6 existing APS line. Well, that can't go on forever,
7 because the line has capacity that it cannot be exceeded;
8 is that not right?

9 MR. UNREIN: That's correct. And that -- that
10 is the fundamental -- the fundamental reason for the
11 interconnection study process that we've discussed is
12 those years of --

13 MEMBER HAENICHEN: Yeah, but let's go back in
14 time and then we'll go forward in time. When those lines
15 that are -- have nothing to do with your project were
16 originally installed, did they have a tremendous
17 overcapacity for, depending on the current use needs? In
18 other words, is there a lot of reserve transmission
19 capacity on all these lines we see when we drive around
20 the state?

21 MR. UNREIN: At some -- so I was not -- you
22 know, I can't personally speak to, you know, the
23 engineering assumptions and siting rationale that went
24 into those lines that were built many decades ago. But
25 the capacity on the transmission infrastructure proximal

1 to our site, those transmission lines used to be much
2 more utilized from various coal plants, not just the
3 Cholla Substation, but different coal plants in the Four
4 Corners region. These electrons move hundreds of miles,
5 and as that fossil fuel fire generation is coming
6 offline, that is creating nominal capacity available for
7 renewable energy projects.

8 MEMBER HAENICHEN: Okay. That's a good answer.
9 But given that we all believe this state is growing
10 rapidly and going to continue to do that, that
11 replacement is just going to happen anyway, and then
12 you're still going to need more capacity to -- to trailer
13 electricity around the state. And I just wonder what the
14 process is on those original lines when they were put in,
15 in terms of capacity.

16 MR. UNREIN: Yeah, the -- I mean, the Western --
17 the Western Electrical Coordination Council, the WECC,
18 transmission system it's a -- yeah, it's a very highly
19 complex maze of transmission infrastructure that's been
20 built around the decades, electrons can flow -- you know,
21 our AC electricity can flow in both directions --

22 MEMBER HAENICHEN: Well, I understand that.

23 MR. UNREIN: You know, those -- those lines were
24 built based on the thermal coal fire generation that was
25 in existence at the time to move the electrons to

1 where -- where they're needed.

2 MEMBER HAENICHEN: Okay. But this -- you may
3 not know the answer to this, is there some governmental
4 entity, I don't care at what level you take this
5 question -- that tells people when they want to build a
6 transmission line, you've got to put in 50 percent extra
7 capacity for future growth; does that happen?

8 MR. UNREIN: So the primary federal regulator on
9 interstate transmission is FERC, the Federal Energy
10 Regulatory Commission. As to the -- what they require
11 for an overbuild of capacity to allow for other future
12 reservations and customers, I do not know. I'm not aware
13 of any specific, you know, threshold, oh, you have to
14 engineer your line for 25 percent extra contingency, I'm
15 not aware of any specific thresholds, and I think it's
16 more on a case-by-case basis with those new interstate
17 transmission lines.

18 MEMBER HAENICHEN: Okay. Now, on your project,
19 though, when you want to hook into these existing lines,
20 did you ask the owner of those lines how much capacity
21 surplus there is?

22 MR. UNREIN: That's the multi-year
23 interconnection study process that we've described. It
24 takes me about five years to get that answer.

25 MEMBER HAENICHEN: Well, have you ever run into

1 a case where you develop a new large project like this
2 500 megawatt where they said we just don't have the
3 capacity to get it to the main grid?

4 MR. UNREIN: So we try to be good -- we try to
5 be good proactive renewable energy developers, such that
6 this team would foresee that that constraint earlier in
7 the development process than other people. And that's
8 one of the reasons why we're successful in building our
9 solar and wind farms is we carefully allocate resources
10 to where we think a project is viable for a variety of
11 reasons, and one of those big reasons is interconnection.
12 But maybe someone, you know, without the experience of or
13 without the foresight, they could end up in that
14 situation where they fully, you know, develop something
15 and they're going to construction and find out -- find
16 that fatal flaw, but that would be unfortunate.

17 MEMBER HAENICHEN: Well, let's talk about your
18 company now and this farm that you have committed to
19 build. What -- do you -- how did you assure yourself
20 that there will be a way to get it to customers?

21 MR. UNREIN: So before we go through that --
22 before and during that interconnection study process we
23 have internal electrical engineers and external
24 consultants that are highly specialized that help us look
25 at that feasibility. So to your point, we didn't just,

1 you know, throw a 500-megawatt queue position in line
2 with APS almost three years ago. We did a lot of
3 analysis internally and externally, you know, four years
4 ago before we put that -- put that request in.

5 MEMBER HAENICHEN: On any of your past projects
6 have you ever faced where you did your diligence and then
7 you went in and found out there was not enough capacity?

8 MR. UNREIN: So we -- we have several projects
9 in our portfolio, and other large independent power
10 producers like us would say the exact same thing, yes, we
11 have other projects that are in our portfolio that we
12 know are transmission-constrained, and we have those on
13 the shelf waiting for other network upgrades and other
14 changes in the interconnection process to start deploying
15 resources again.

16 MEMBER HAENICHEN: Okay.

17 MR. UNREIN: So I have projects --

18 MEMBER HAENICHEN: On those particular
19 projects -- this is my next question now.

20 CHMN. KATZ: Jack, Mr. Haenichen, pull your
21 microphone a little closer, I think the court reporter is
22 struggling.

23 MEMBER HAENICHEN: Oh, sorry.

24 What did you do to move the group of people who
25 can correct that, to put more capacity in, please?

1 MR. UNREIN: To -- is your question to move --
2 or what do you mean "move"?

3 MEMBER HAENICHEN: Can use the surplus energy
4 you were going to generate.

5 MR. UNREIN: Sorry, could you ask it one more
6 time?

7 MEMBER HAENICHEN: Yeah. How do you assure
8 yourself that there will be enough capacity in the thing
9 you're hooking into?

10 MR. UNREIN: Oh. So, again, we -- we have our
11 own internal and external consultants that analyze flow
12 studies and the transmission grid based on, you know,
13 historical transmission and infrastructure and planned
14 upgrades. So we have, you know, entire teams internally
15 and externally that are constantly evaluating feasibility
16 of interconnecting solar and wind throughout the country.

17 And here, you know, in Arizona, speaking to this
18 project in particular, many years ago, you know, the
19 potential or actual plan closure of the Cholla Power
20 Plant was announced, and folks know that there's going to
21 be transmission capacity available proximal to the area
22 for other forms of power generation. And, yeah,
23 that's -- that's creating projects like this being able
24 to utilize that --

25 MEMBER HAENICHEN: Yeah, that's replacing an

1 existing resource that's being decommissioned, but if the
2 state continues to grow and millions more people come in,
3 that's not going to be enough, right?

4 MR. UNREIN: Yes. That's -- that's correct.

5 MEMBER HAENICHEN: I'm just trying to understand
6 how this works --

7 MR. UNREIN: -- that's like Western Spirit and
8 SunZia, other cross-state transmission lines that have
9 been -- that have been proposed.

10 MEMBER HAENICHEN: Oh, yeah, we were involved
11 with those.

12 MR. UNREIN: So it takes -- it takes a lot of
13 time to develop new transmission lines, but, yeah, it's
14 being done --

15 MEMBER HAENICHEN: Yeah, it's expensive.

16 MR. UNREIN: -- coast to coast.

17 MEMBER PALMER: Mr. Chairman?

18 CHMN. KATZ: Yes, Mr. Palmer.

19 MEMBER PALMER: This is completely
20 non-jurisdictional, but just for my curiosity, and I'm
21 trying to remember what I've read if I saw anything, but
22 does this project -- this wind project have any storage
23 associated with it?

24 MR. UNREIN: Yes, our interconnection queue
25 positions do include 250 megawatts of battery energy

1 storage.

2 MEMBER PALMER: Thank you.

3 MEMBER HAENICHEN: That is DC?

4 MR. UNREIN: So --

5 MEMBER HAENICHEN: You're storing DC?

6 MR. UNREIN: -- no, on the wind energy side it
7 would be AC-coupled storage, because the electrons that
8 flow out of our turbines are AC. There is a chance,
9 depending on technology, that -- that wind energy in the
10 future would be DC-coupled, so you'd put it through an
11 inverter and do it DC-coupled.

12 MEMBER HAENICHEN: How do you store AC?

13 MR. UNREIN: It's an evolving technology.

14 THE REPORTER: I'm sorry, please, one at a time.

15 MEMBER HAENICHEN: How do you store AC energy?

16 MR. UNREIN: I'm not an energy storage expert,
17 but there is AC-coupled -- there is AC-coupled energy
18 storage proximal to project substations pretty -- pretty
19 commonly.

20 MEMBER HAENICHEN: I'm not aware of it. I'm
21 going to continue my search. Thank you.

22 MR. UNREIN: If I can do some more research
23 tonight and speak with some of my colleagues that are
24 much better technical experts at storage and bring any
25 information back tomorrow, if that's --

1 MEMBER HAENICHEN: Yeah, put it simply, you
2 can't use a battery to store AC.

3 MR. UNREIN: Yeah, there's electrical components
4 that allow enough, there's micro-inverters that convert
5 it to DC and then goes into lithium batteries and back
6 out, I just don't know --

7 MEMBER HAENICHEN: These are all lofty prospects
8 too. There are losses associated with doing that.

9 MR. UNREIN: Uh-huh.

10 MEMBER HAENICHEN: Okay. Thank you.

11 MEMBER FRENCH: Mr. Chairman?

12 CHMN. KATZ: Yes.

13 MEMBER FRENCH: Mr. Unrein, you mentioned 200
14 megawatts -- or 250 megawatts of storage, is that the
15 same for either project?

16 MR. UNREIN: Correct.

17 MEMBER FRENCH: Thank you.

18 MEMBER GRINNELL: Well, Mr. Chairman, I'm
19 just -- back to Mr. Haenichen's, if you're storing all
20 this power, it must be DC storage; is that correct?

21 MR. UNREIN: I'm going to -- I commit to this
22 Committee to consult some energy storage engineering
23 experts and then be better prepared to speak to the
24 potential battery storage component of this wind farm.
25 It is worth noting that we included 250 megawatts of

1 battery storage as an option in our queue positions,
2 paired with our wind energy, and that it's to be
3 determined at a future date if storing this wind energy
4 would be needed for customer. And secondly, be possible
5 from -- from a taxation and a market perspective.

6 MEMBER GRINNELL: But aren't these battery
7 storage facilities or alternative storage, aren't they
8 part of the gen-tie connections?

9 MR. UNREIN: Yes, but in this case if battery
10 storage were deployed, they would be located adjacent
11 to -- adjacent to the collector substations. They would
12 not -- the energy storage facilities would not be within
13 the transmission lines or the substations subject of this
14 CEC.

15 MEMBER GRINNELL: So how would you connect the
16 battery storage systems to your substations, if they're
17 not part of this CEC? Would you have to come back for
18 another CEC connection?

19 MR. ACKEN: Member Grinnell, if I can hop in. I
20 believe it's non-jurisdictional.

21 MEMBER GRINNELL: I understand that part, not
22 the battery part, but the gen-tie would be a
23 jurisdictional issue for this Committee.

24 MR. ACKEN: If the battery is receiving at
25 340 -- 34.5, and then being stepped -- and then when it's

1 being discharged, it's discharged at 34.5 to the
2 collector substation, it would not be jurisdictional. So
3 I think that -- I think that's the answer, but, you know,
4 again, Mr. Unrein's committed. He's shaking his head, he
5 may know the answer to this one to confirm, but, you
6 know, we'll make sure we've got the answers for you
7 tomorrow on all of the battery questions.

8 But -- but, bottom line, if a battery is -- if
9 both the input and the output of the battery is below 115
10 kilovolts, it's not jurisdictional.

11 MEMBER GRINNELL: Oh, that part I -- that part I
12 understand, but you're connecting eventually to your two
13 big power lines and also to your -- so I guess that's
14 where the confusion is for me a little bit.

15 MR. ACKEN: Yeah, and if I can take a swing at
16 it, and Mr. Unrein correct since you're testifying under
17 oath, I believe that's where the collector substations
18 come into play. And we are seeking approval for the
19 collector substations. So the output for the batteries,
20 if it's at 34.5, goes to the collector substation, where
21 it will be stepped up to jurisdictional transmission
22 voltage. And that's why we are seeking approval for the
23 substations.

24 Q. BY MR. ACKEN: Mr. Unrein, can you confirm or
25 correct?

1 A. (MR. UNREIN) I can confirm that that's correct.
2 Any stored electricity coming from battery storage
3 facilities would be fed at medium voltage into the
4 collector substation on that bus work, just like the mini
5 circuits of collection lines coming from our wind farm.

6 MEMBER HAENICHEN: Yeah, but you can't step up
7 DC, it has to be AC. So there's constantly going back
8 and forth. You store it as DC and you then convert it to
9 AC, and use a transformer to change -- transformer to
10 make a higher voltage.

11 MR. UNREIN: That's correct. It would be stored
12 out -- outside of the substation and would be converted
13 to medium voltage AC and then enter the substation bus
14 work just as if it were a collection line circuit coming
15 from a group of wind turbines.

16 CHMN. KATZ: I was going to try to avoid going
17 here, but I'm going to. Are you familiar with the
18 October 4th letter from the Arizona Corporation
19 Commission and their recommendations to this Committee?

20 MR. UNREIN: Yes, Chairman.

21 CHMN. KATZ: And one of the things I'll just
22 quote from, it says, "Since the proposed project includes
23 two different levels of interconnection at the Cholla
24 Substation, separate studies needed to be conducted to
25 determine the effects, if any, on the transmission

1 system. APS conducted a cluster System Impact Study,"
2 again, a cluster System Impact Study or SIS "for the
3 345-kV option. This study evaluated the effects of the
4 345-kV option, along with other projects in the APS
5 interconnection queue and concluded there could be
6 negative impacts on the APS transmission system and would
7 require new transmission lines and transformers be
8 constructed to mitigate the effects," but then there's a
9 big however. "West Camp stated a very small portion of
10 the identified impacts would be attributable to the
11 345-kV project, and that if any of the other projects in
12 the study cluster were withdrawn from the queue,
13 transmission system impacts would be diminished or
14 eliminated. The applicant indicated that a facility
15 study would be done on the approved" 435 -- "445-kV line
16 early in 2023, to further any potential system impacts,"
17 and also it further indicates that APS with -- in
18 conjunction with your company would be studying a 500-kV
19 option. And I'm just wondering who -- who else was
20 involved in that cluster study, if you even know?

21 MR. UNREIN: So the -- the specific legal
22 entities and owners of various interconnection requests
23 is not publicly available information. But, in summary,
24 that -- that fall 2019 345-kV cluster studied many, many
25 thousands of megawatts of potential interconnection

1 requests from that cluster, as well as many thousands of
2 megawatts of previous clustered generator interconnection
3 requests. So about seven gigawatts in total. And APS is
4 required to study each of those in an indiscriminate
5 fashion regardless of actual feasibility of the request
6 or viability of the project being built, so that is, it's
7 somewhat typical for us to see. You know, the initial
8 study process studied a large group, and the study --

9 CHMN. KATZ: And it's more up to APS with input
10 from you to do that further study, correct, regarding
11 either the 345-kV or the 500-kV lines?

12 MR. UNREIN: Correct. After the System Impact
13 Study you, as the applicant, can choose to continue the
14 study process or end it and leave the -- leave the queue.

15 CHMN. KATZ: But I'm assuming, though, if you
16 were to leave the queue this particular project wouldn't
17 be built?

18 MR. UNREIN: If we -- if we abandoned our
19 interconnection queue positions, we would have to -- you
20 have to get back in line, essentially. You'd have to
21 file again and get back in the multi-year line.

22 CHMN. KATZ: And one of our committee members,
23 who isn't present, after reviewing the letter presented a
24 question and I'll read it. What -- and it was Member
25 Little: "What is likely to happen if the CEC is granted

1 but sometime during the construction of the project it is
2 determined that there will be system problems if the
3 project is connected?" Or asking it another way, would
4 you be waiting until you got clearance through
5 appropriate studies before building out this project,
6 only to be told it's too late now, you spent all this
7 money, but you can't hook into our existing system?

8 MR. UNREIN: We would never be in that
9 situation, because we need a Large Generator
10 Interconnection Agreement with APS in order to legally
11 commence construction of our wind farm.

12 CHMN. KATZ: And that's really what I wanted to
13 confirm is you're not going to be building the wind farm
14 or the transmission lines without first getting that
15 agreement approved by your company and by Arizona Public
16 Service?

17 MR. UNREIN: That's correct.

18 CHMN. KATZ: I don't know if I opened up
19 anything you wanted to follow up on or any of the
20 committee members wanted to follow up on?

21 MR. ACKEN: Thank you, Mr. Chairman. Not on
22 behalf of the applicant at this time. We're happy to
23 answer any more questions the Committee has this
24 afternoon. You know, we have a little bit of homework
25 that we need to address tomorrow morning. If there are

1 other questions that we need to take up tomorrow morning,
2 we're happy to do that as well.

3 CHMN. KATZ: Anything further from either our
4 virtual participants or from our in-person participants
5 on the Committee?

6 (No response.)

7 CHMN. KATZ: Well, if that's the case, we're
8 going to unfortunately, or fortunately, have to take a
9 recess and wait until 5:30 p.m. And what might happen is
10 what happened in our last hearing, we waited until 5:30
11 and no members of the public showed up.

12 But in the event there is interest from the
13 Navajo County community and surrounding property owners,
14 we want to give them a chance to address us, either in
15 person or virtually. So we're going to recess until
16 5:30. It will give some of us an opportunity to actually
17 move luggage into our respective rooms. But we do stand
18 in recess, unless there's some reason not to.

19 MR. ACKEN: No. Thank you, Mr. Chairman.

20 (Recessed from 4:14 p.m. until 5:34 p.m.)

21 CHMN. KATZ: Mr. Grinnell is present, and I
22 think Karl Gentles is present. I don't know whether
23 Daniel -- Daniel Schwiebert is present. He doesn't
24 appear to be. But we have one, two, three, four, five,
25 six, seven of us. We've got a quorum and can go ahead.

1 And I believe there are two members of the public that
2 wanted to virtually communicate with us.

3 And are they able to hear what we're saying
4 right now?

5 The two virtual, since there's only two of you,
6 we'll let you ramble a little bit, but it's not going to
7 be question and answer. We're not allowed as a Committee
8 to respond to individual members of the republic -- of
9 the republic -- of the public and of the republic -- we
10 can only listen to what you have to say and take that
11 into consideration during our deliberations. And I'll
12 let our IT people decide which of the two folks will go
13 first.

14 AV TECHNICIAN: Mr. Chairman, let's begin with
15 Clare.

16 MS. BELLENDIR: Hi, can you hear me?

17 CHMN. KATZ: Yes, we can hear you fine. Just
18 state your first and last name.

19 MS. BELLENDIR: Yeah, it's Clare Brophy
20 Bellendir, and I'm with Aztec Land and Cattle.

21 CHMN. KATZ: Yeah, and I know one of the Brophys
22 went to Xavier -- I mean, Xavier, and swam with my
23 daughter Amanda years ago.

24 MS. BELLENDIR: I swam with Mandy.

25 CHMN. KATZ: Yeah, Mandy is my kid. I'll make

1 sure to say hello. And I know Stephen is there, and I
2 had a matter with the Land Department involving him a few
3 years back. But, Ms. Brophy, please go ahead and speak
4 your mind.

5 MS. BELLENDIR: You know, I'm going to defer to
6 my father, and he's on the line as well, and our opinion
7 is one and the same.

8 CHMN. KATZ: Okay.

9 MS. BELLENDIR: Thanks for hearing us.

10 CHMN. KATZ: Glad to do it. Glad to hear from
11 you and glad you're doing well. Are you living up north
12 now?

13 MS. BELLENDIR: I live in Phoenix, and my
14 daughter attended Tutu School with your granddaughter.

15 CHMN. KATZ: Okay. Sounds good.

16 Is it Stephen, then? Or your father's more than
17 welcome to address us.

18 MR. BROPHY: Chairman Katz, can you hear me?

19 CHMN. KATZ: I can hear you just fine.

20 MR. BROPHY: Thank you very much. I'm Steve
21 Brophy. I run Aztec Land and Cattle Company. We are the
22 landowner over whose land principally this transmission
23 line that's under your consideration crosses. The reason
24 it does is because it is intended, as perhaps you've been
25 briefed, to serve a project, a wind energy project, which

1 is located by and large on our land.

2 It's an obvious statement, but we support it,
3 number one. Number two, we do so because, and this is
4 not your concern, but rather our motivation, we think
5 that wind energy project done by this company, which is,
6 in our experience, a fantastic company, very
7 professional, is a good use for our land, but I'd also
8 like to make maybe a larger point, and I say this to you
9 all as an adjunct of the Arizona Corporation Commission,
10 and therefore, either directly or, by implication,
11 responsible for the best interests of power consumers of
12 the utilities you regulate, in this case Arizona Public
13 Service.

14 The switchyard to which this gen-tie is intended
15 to connect serves some major power lines, a 500-kV, two
16 345-kV lines, which were constructed years ago by Arizona
17 Public Service to interconnect, I think, Four Corners,
18 Cholla, and the Phoenix load area. And if you look at a
19 map of the north, probably 30 miles of those power lines,
20 they cross our land. And together with the SRP lines
21 that both interconnect and cross our lines are a basic
22 maze of power lines that were constructed to serve coal
23 powered plants built in the '60s and '70s. And they were
24 constructed on our line not only without opposition -- on
25 our land, not only without opposition, but with support,

1 because we thought that would benefit Northern Arizona
2 and the state.

3 Those power lines, I need not tell you, are a
4 multi-billion dollar electrical energy freeway whose
5 primary source of generation is going away. And this
6 project and others, probably ones that will come to your
7 attention in the future, are intended to fill the gap
8 that is being created by the -- the diminution, and I
9 presume the ultimate disappearance of coal. So for our
10 purposes, the land use that this enables and the reuse of
11 the power assets that belong to APS but have been paid by
12 rate payers -- paid by rate payers in the Phoenix load
13 area, are being served with a second use and a second
14 life. We think altogether, just from our vantage point
15 are a worthy project, and we urge your favorable
16 consideration of this matter. Thank you.

17 CHMN. KATZ: Thank you. And I'll just ask you
18 one question totally unrelated to these proceedings. I'm
19 assuming you're the same Stephen Brophy that I met with
20 several years ago. I represent the Land Department, and
21 there was the lumber mill closing down and there were
22 aquifer permits that were required. I don't know if
23 that's you or one of your relatives.

24 MR. BROPHY: No, it's me. And it left me with
25 the same hairline that you have. But the end result has

1 been very, very favorable. And very important for
2 Northeast Arizona. Thank you.

3 CHMN. KATZ: And I'm glad, and all I can say is
4 I have far less gray hair this year than I did last.
5 Anyway, Mr. --

6 MR. BROPHY: I'm going the other direction.

7 CHMN. KATZ: Okay. Anyway, Ms. Brophy and
8 Mr. Brophy, thank you both for your participation. We
9 will take what you have to say into consideration and
10 appreciate you taking the time out of your day to do so.

11 MS. BELLENDIR: Thank you, Chairman Katz. Take
12 care.

13 MR. BROPHY: Thank you.

14 CHMN. KATZ: I'm assuming we don't have anybody
15 else?

16 AV TECHNICIAN: Mr. Chairman, that is everyone
17 who is on Zoom.

18 CHMN. KATZ: Let me just ask, is anyone in the
19 back of the room that is a member of the public that
20 might wish to fill out a form and address us?

21 (No response.)

22 CHMN. KATZ: Looks like they're all familiar
23 people back there. So we'll stand in recess for the day.

24 And oh, Mr. Grinnell --

25 Well, off the record.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Proceedings recessed at 5:45 p.m.)

1 STATE OF ARIZONA)
COUNTY OF MARICOPA)

2

3

4 BE IT KNOWN that the foregoing proceedings were
5 taken before me; that the foregoing pages are a full,
6 true, and accurate record of the proceedings all done to
the best of my skill and ability; that the proceedings
were taken down by me in shorthand and thereafter reduced
to print under my direction.

7

8 I CERTIFY that I am in no way related to any of
the parties hereto nor am I in any way interested in the
outcome hereof.


9

10 I CERTIFY that I have complied with the ethical
11 obligations set forth in ACJA 7-206(F)(3) and ACJA 7-206
12 (J)(1)(g)(1) and (2). Dated at Phoenix, Arizona, this
13 16th day of October, 2022.

11

12

13



14

ROBIN L. B. OSTERODE, RPR
CA CSR No. 7750
AZ CR No. 50695

15

16

17

* * * * *

18

19 I CERTIFY that Glennie Reporting Services, LLC,
has complied with the ethical obligations set forth in
ACJA 7-206(J)(1)(g)(1) through (6).

20

21

22

23



24

GLENNIE REPORTING SERVICES, LLC
Registered Reporting Firm
Arizona RRF No. R1035

25